

Appendix A

Public Meeting Transcript

South Carolina Department of Health and
Environmental Control
State of South Carolina
County of Greenville

)	
)	Transcript
)	
In Re: Proposed Plan)	of
CSXT Bramlett Road Site)	
)	Public Meeting

Date: June 6, 2024

Time: 6:00 p.m.

Location: Mountain View Baptist Church, 111 Cagle
Street, Greenville, South Carolina

Reported by
Cindy H. Patterson

APPEARANCES

DHEC Officials Present: Greg Cassidy
Lucas Berresford
Kristy Ellenberg
Elisa Vincent

CSX Official Present: John Dillard

Duke Energy Official Present: Mike Ruhe

Also Present: Pastor Stacey D. Mills
Mountain View Baptist Church
Greenville, South Carolina

Representative Chandra E. Dillard
District 23, Greenville County

Alan Mitchell
Greenville County Councilman
District 23

Senator Karl B. Allen

Lillian Brock Flemming
Mayor Pro Tem; District 2 Representative

Speakers From the Public: Courtney Cannon
Katherine Amidon
Nikki Oliver
Janice Williams
John Heiser
Sherry Barrett
Melanie Brown
Brenda Pennie
Christopher Dillard
Emily Poole
Jacquelyn Smith
Erika Hollis
Josie Newton
Tammie Childs
Tammie Sullivan
Francena Davis
Lester Childs
Mike Winiski
Colleen Kilgore
Charles Gardner

Charles Kilgore
Ursula Singleton
Scott Johnston
Jennifer Fouse Sheorn
Kiersten H. Mills
Adrienne Floyd
Bob Lloyd
S.T. Peden
Edgar Pruitt
Frank Halleman
Claudia Smith
Mattie L. Lowden
Bobby Lowden
Lydia Freund
William McKinney
Shirley King

PROCEEDINGS

PASTOR MILLS: Well, good evening, everybody, and welcome to Mountain View Baptist Church. Tonight we are really pleased to be able to provide a space for community gathering and conversation. Your presence here is very meaningful to us. Mountain View Baptist Church was founded in 1908, so you join us here at the 116th-year anniversary of the founding of Mountain View, and we're very honored. Thank you. Thank you.

I'd like to acknowledge our representatives who really have spearheaded and championed the cause of community work in our community. Representative Chandra Dillard is here tonight. Ms. Dillard, would you be recognized and stand? County Councilman Alan Mitchell is also here. This is his district. Councilman Mitchell is right here. This is also Senator Karl Allen's district. I see our City Councilwoman Lillian Flemming walking in the door right now. She's waving, so please give her a round of applause.

We'd also like to pause and acknowledge any other elected official who's here in the room with us tonight. If you'll stand, regardless of your affiliation, we'd like to acknowledge you. And in

1 their absence, let's give them a round of applause.

2 We also want to say thank you to other
3 organizations and advocates who have made this a
4 priority to be here as a listening session. We're
5 grateful for that. Tonight marks, really, a
6 benchmark for us as a community to listen to the
7 presentation and have an opportunity to pose and
8 have our questions answered. We're grateful for
9 DHEC and their team, who have been working with us
10 in small groups along the way to get to where we
11 are tonight. A lot goes into this, so I hope that
12 you will be attentive to the information shared.

13 Just a bit of housekeeping, there's a set of
14 restrooms -- there's three over in this corner --
15 whether you believe that or not, you'll get there
16 and see, I promise there are -- over my left
17 shoulder to your right, and then downstairs if you
18 need to be accommodated.

19 Thank you again for being here tonight. We
20 think that this is a wealth of information. Also,
21 our friends at Duke are here, so we want to
22 acknowledge them. CSX Railroad also are here
23 tonight. Thank you all for being here. Welcome
24 DHEC and their team as they give guidance to the
25 rest of the evening.

1 MR. BERRESFORD: Well, first of all, I would like to
2 thank Pastor Mills for allowing us this opportunity
3 to meet in this lovely venue and for all of his
4 assistance along the way of this long process that
5 we've been going through. My name is Lucas
6 Berresford. I'm the program manager for the State
7 Voluntary Cleanup Program at DHEC. I was also the
8 project manager on this site for a number of years
9 before I moved into that role. Greg Cassidy with
10 DHEC is the project manager for this site, and he
11 will be providing part of this presentation as
12 well.

13 If I could just get all of the DHEC employees
14 to please stand up and let everybody see. We have
15 quite a contingent to make these happen, and we're
16 very thankful for all the help that we are getting.
17 When we get to the conclusion of the presentation,
18 Elisa Vincent and Kristy Ellenberg will be carrying
19 around mics for questions and answers. So if
20 you'll just raise your hand, they'll work their way
21 to you. So with that, let us begin.

22 So a little bit of housekeeping. As many have
23 probably heard, DHEC will be splitting into two
24 agencies in a month. So come July 1st, we will be
25 Department of Environmental Services. That will

1 not change the people that you see here. We will
2 all still be working on this project and moving
3 things forward, but instead of being DHEC, we're
4 going to be the Department of Environmental
5 Services. All of the website information and other
6 information that have been provided on this site
7 will remain active, and you'll be able to get that
8 information in the same way.

9 So a real quick agenda -- we're going to talk
10 a little bit about the site history. The site
11 history is vast, as this site goes back into the
12 early 1917 timeframe, is when it began operation.
13 And then we're going to talk about the Focused
14 Feasibility Study and the proposed plan and the
15 evaluation of cleanup alternatives. And then we
16 will talk about DHEC's preferred alternative, and
17 all of this is a forum to start our public comment
18 period on the proposed remedy, which will begin
19 today.

20 So this is a historic picture of the former
21 manufactured gas plant. It was on the corner of
22 East Bramlett and Washington Street. And you can
23 see all of the operations that occurred in the 1950
24 aerial photo here. So kind of going with that site
25 history, the site in 1917 was built by Southern

1 Public Utilities. And just so you understand,
2 every major city across the country used
3 manufactured gas in the early 1900 to 1950s. It
4 was the predecessor to natural gas, and it was used
5 for heating and lighting and kind of the
6 cornerstone for development of cities across the
7 country. In 1935, Duke became the owner of the
8 property, and around 1952, the manufactured gas
9 plant ceased operations.

10 In 1958, many of the structures were taken
11 down, and in 1967, it was transferred to CSX. I
12 think one of the important things that we think
13 about here is the manufactured -- all these
14 manufactured gas plants across the country operated
15 near some type of water source. They needed it for
16 their process, they needed it to deal with their
17 waste product. You're going to hear us talk about
18 the words "coal tar" a lot tonight. In summation,
19 that's one of the main byproducts of this process.
20 It would burn coal, take the gas off, and you'd be
21 left with this tarry sludge material known as "coal
22 tar." And historically, it would flow down these
23 drainage channels that are up on this figure in
24 blue and over into a wetland area. And that poses
25 one of the major problems here with the cleanup, is

1 that material has been deposited out there in that
2 wetland and needs to be addressed.

3 In 1970 to about 1980, the facility itself was
4 used as, like, a trucking facility, and then since
5 1980, it's been vacant.

6 To compound this a little bit, in 1988, Robert
7 Vaughn began operations of an unpermitted landfill
8 on the far side of Bramlett Road. And in the
9 previous figure, this is where all of those water
10 bodies flowed with the coal tar. So the coal tar
11 is down there, and then it gets covered up with 8
12 to 10 feet of construction and demolition debris.

13 In '93, DHEC notified Mr. Vaughn to cease
14 operations, and in '94, the U.S. Army Corps of
15 Engineers notified CSX that the landfill violated
16 the Clean Water Act, and it was closed. I think
17 this manufactured gas plant process all took place
18 between 1970 and the mid-1950s. In that timeframe,
19 we didn't have a lot of environmental regulations
20 in place to govern how things were disposed of, how
21 chemicals were used and handled. Those started to
22 come in, in the late '70s, early '80s, and then
23 more and more as we moved forward in time. So all
24 of the activities and operations were done prior to
25 many of the regulations we see today.

1 So this layout shows what we refer to as
2 Parcels 1 through 5, and you'll hear us talk about
3 the Legacy School property as well. Parcel 1 is
4 where the former manufactured gas plant operated.
5 There's been several operations on Parcel 2,
6 different things there, but it was not really where
7 the operations were, the manufactured gas plant,
8 but there were some drainage features that kind of
9 went through Parcel 2. Parcel 3 is what we
10 commonly refer to as the "Vaughn Landfill." The
11 area in green on here is the approximate footprint
12 of where that landfill is located. Before the
13 landfill, most of this area was wetland. And then
14 as you move to Parcel 4 and 5, that's kind of where
15 the drainage channels move through the property and
16 out the other end, and it's mostly wetland in that
17 area.

18 So I said we're going to talk a lot about coal
19 tar. These pictures kind of illustrate the
20 different types of things that we see when we're
21 talking about coal tar. It doesn't all look alike,
22 but it's an oily, greasy material, a lot of black
23 staining, has a consistency similar to roofing tar,
24 to put it in perspective. And we're going to keep
25 calling it "coal tar," but coal tar contains a

1 mixture of volatile organic compounds and semi-
2 volatile compounds. But the primary ones that we
3 deal with are benzene and naphthalene, and those
4 are the ones that we see throughout the groundwater
5 at the site. But there's also toluene, ethyl
6 benzene, benzo[a]pyrene, benzo[a]anthracene,
7 benzo[a]fluoranthracene (phonetic), and xylenes.
8 So they're all kind of mixed together in this thing
9 we call "coal tar." But rather than repeat all of
10 those different compounds, we're going to simplify
11 things and just talk about coal tar tonight.

12 So historically, in 2001 to 2002, Duke Power
13 performed a removal action at the former
14 manufactured gas plant parcel. They took out about
15 61,000 tons of contaminated soil and debris and
16 removed it. And then after the removal, until
17 present, they've been doing groundwater monitoring
18 and assessment at the site.

19 In 2013, this -- this site, up until about
20 2013, had been handled by our Bureau of Water at
21 DHEC. It got transferred into Land and Waste
22 Management, and we contacted CSX and Duke Power
23 about joining the Voluntary Cleanup Program. In
24 2016, a Voluntary Cleanup Contract was executed
25 between the Department and Duke, and the VCC

1 required them to conduct additional assessment and
2 evaluate cleanup alternatives for the site. A
3 public meeting was held in 2016 to kick off the
4 investigations.

5 So this map kind of gives you a look at what
6 we had before. In the 2017 timeframe, we had about
7 19 monitoring wells. All the assessment that has
8 been done between there and today, we have over 70
9 monitoring wells that are monitoring the
10 groundwater across all of those different parcels.
11 Over 104 soil and sediment borings were installed.
12 A series of 16 test pits were dug to understand
13 site conditions a little better, and 94 soil
14 samples were collected, 45 surface water samples
15 were collected, and 29 different sediment locations
16 had samples collected from them.

17 And what we have here in yellow shows the
18 footprint of the groundwater contamination at the
19 site. The majority of it is contained on Parcels
20 1, 2, and 3. And the concentrations here are
21 mostly benzene and naphthalene.

22 As part of the remedial investigation and
23 assessment, Duke assessed all the former stormwater
24 ditches and their pathway. And so all of these
25 samples show various sampling points to determine

1 the extent of the coal tar and those former stream
2 beds. And what we see here is -- the red dots on
3 this map show where we found coal tar, so you can
4 see that it kind of follows the stream path down
5 through Parcels 4 and 5. And the yellow here shows
6 where there was contamination but not coal tar, and
7 then the green were clean sample points. So all of
8 these samples were collected during the
9 investigation.

10 And what we have here is a sliced look at the
11 subsurface as we move from Bramlett Road to Willard
12 Street, and the black here indicates the presence
13 of coal tar material. So you can see that there's
14 a lot more than was initially expected, but there's
15 also a layer of clean sediment that sits on top of
16 it. Just given the timeframe that this material
17 was deposited there, nothing's been out there since
18 the '50s, so Mother Nature has covered over it. So
19 it's not a direct contact issue for people out
20 there, but there's still a lot of coal tar out
21 there that needs to be addressed.

22 Surface water and sediment samples were
23 collected from the Reedy River, as there was some
24 concerns that there may be potential for
25 contamination to be migrating there. But the

1 samples that were collected did not show any active
2 discharge to the Reedy River from the site. Duke
3 Power did some mitigation measures. They put in
4 some check dams and some barriers and redid the
5 drainage way as it moves toward the river there
6 just to make sure there's no possibility of future
7 contamination or ongoing contamination coming from
8 the site and getting to the river.

9 So one of the questions that everybody's
10 probably thinking is, are there health risks from
11 this contamination? And our simple answer is no,
12 because to have a health risk, there has to be an
13 exposure point where someone is coming in direct
14 contact with this material. When we look at the
15 Vaughn Landfill, it's under 8 to 10 feet of debris.
16 There's no direct exposure route complete there to
17 get to the tar, and when you get to the sediment in
18 the wetland, it is also covered over with clean
19 sediment, so you would have to work really hard to
20 dig down to get to this material. The area is
21 serviced by public water, so there's no private
22 drinking water wells here, so there's no risk of
23 exposure to contaminated groundwater. And our
24 samples of the Reedy River did not show impacts, so
25 it's not migrating out there.

1 So at this point, we've completed the remedial
2 investigation, and the next thing was a Focused
3 Feasibility Study. And what that did was evaluate
4 the cleanup alternatives and the potential cleanup
5 alternatives, which leads us to why we're here
6 tonight, which is to present the preferred
7 alternative and the proposed plan to the public and
8 take public feedback. This meeting will open a 60-
9 day public comment period. We want to hear your
10 feedback. We want to get your comments. If you
11 think we're picking the right remedy, we want to
12 hear it. If you think there's a better solution,
13 we want to hear it. And then we will evaluate all
14 those comments before a final decision is made and
15 a record of decision.

16 And at this point, I'm going to hand it over to
17 Greg Cassidy to talk about the Feasibility Studying
18 and the evaluation of alternatives.

19 MR. CASSIDY: I'm not quite as tall as Lucas is there,
20 so I need to adjust a little bit. My name is Greg
21 Cassidy. I've been the project manager for the
22 Bramlett Road site since 2017. I'm going to take
23 you through the Focused Feasibility Study and the
24 evaluation of alternatives.

25 The Focused Feasibility Study looks at all the

1 data that was collected during the remedial
2 investigation and then identifies the areas that
3 will need to be remediated. Once it's been
4 identified, these areas will -- what's been
5 identified in these areas, we place them in what we
6 call "operable units." The operable units we've
7 identified for this site are soil and sediments,
8 which is the Operable Unit 1. Operable Unit 2 is
9 surface water, shallow zone groundwater, and
10 transition zone groundwater. Operable Unit 3 is
11 the deeper fractured bedrock groundwater. At this
12 point, the Feasibility Study starts looking at all
13 the remedies or tools that we might have that might
14 work to clean up each of the operable units. For
15 this Feasibility Study, a decision was made to look
16 at addressing Operable Units 1 and 2. The impacts
17 to bedrock groundwater were identified late in the
18 remedial investigation process, and so Operable
19 Unit 3 will be evaluated at a later time.

20 After evaluating the possible remedial options
21 for the site, five remedial alternatives were
22 retained to be evaluated. We just want to point
23 out up front that these alternatives are conceptual
24 at this point. While they've been reviewed by
25 contractors for constructability, design details

1 such as truck routes, staging areas, or how water
2 might be managed are not in a final-design work
3 plan level. The level of detail will be in a
4 final-design work plan after the remedy is
5 selected.

6 The first alternative that was looked -- well,
7 sorry about that. The first two alternatives are
8 passive remedies of the five remedial alternatives
9 retained. These are remedies where no treatment or
10 removal is involved other than natural processes.
11 The two passive remedies are no action and
12 monitored natural attenuation and land use
13 controls.

14 Let's look at Alternative 1, which is our no-
15 action alternative. In this remedy, the site is
16 left as is. There's no monitoring to see if
17 conditions are improving. This alternative is
18 required to be an alternative that can be used as a
19 baseline for comparison to the other alternatives.
20 It is very rare that this would be the selected
21 alternative. Alternative 2 is monitored natural
22 attenuation and land use controls. For this
23 presentation, we tried to limit using acronyms in
24 the presentation as best we can, but we will use
25 MNA and LUCs a lot for not only this alternative,

1 but also for the other remaining alternatives
2 you'll see tonight. So monitored natural
3 attenuation is just long-term groundwater
4 monitoring. It is used to see if groundwater
5 conditions are improving over time, and then land
6 use controls will be utilized to restrict
7 groundwater or may limit the type of reuse at a
8 site.

9 The remaining three remedies are active
10 remedies. These are selective excavation, capping
11 our monitored natural attenuation, and LUCs;
12 excavation and partial landfill removal, monitored
13 natural attenuations and land use controls;
14 excavation and complete landfill removal, monitored
15 natural attenuation, and land use controls.

16 Okay. For Alternatives 3 through 5, the
17 proposed remedy is the same for Parcels 4, 5, and
18 the Legacy School property. Those areas are
19 highlighted in blue on this figure. Parcel 3 with
20 the landfill, which is highlighted in red, is where
21 there are differences between each of these
22 remedies, and then our friends MNA and LUC will
23 also be used with each of the remedies.

24 We're going to look at the Legacy School
25 property. In all the active remedies, there will

1 be an excavation of sediments impacted with coal
2 tar on the western portion of the Legacy School
3 property. This area is mostly in the wetlands, but
4 has a small area that comes up into the turnaround
5 area on the western end of the school. The area
6 that would be excavated would be up to 16-feet
7 deep, and the total estimated excavated volume is
8 26,000 cubic yards. To excavate to this depth, a
9 thousand-foot-long temporary sheet pile wall would
10 be installed down 25-feet deep around the area
11 shown in blue here. It is also possible that a
12 temporary sprung building structure would be
13 utilized to conduct the excavations in this area.
14 This structure could be moved around and help
15 control the noise and odors from the coal tar that
16 is being removed.

17 Each active remedy would also excavate the
18 drainage ditches on Parcels 4 and 5 on the south
19 side of the site. The estimated excavation volume
20 for these areas is around 5,000 cubic yards. And
21 once again, we have our monitored natural
22 attenuation and land use controls, which would be
23 a part of all three of the active remedies.

24 So we're going to take a look at Alternative
25 3. Alternative 3 is the selective excavation and

1 capping. In this alternative, there is a northern
2 and southern excavation area on the western side
3 of Parcel 3, and that's kind of the areas in kind
4 of the gray that's highlighted in blue there on
5 the left side of that figure. That removal would
6 total about 21,000 cubic yards. The area in pink
7 would not be excavated in this remedy. It is an
8 area where there's only trace amounts of coal tar
9 which were identified during the remedial
10 investigation. The rest of the Vaughn Landfill,
11 shown in green here, would remain as well. Where
12 you see the area in orange, there will be a 1425-
13 foot-long permanent barrier wall installed. It
14 will also go down to 25 feet below the ground
15 surface. The area inside of the barrier would
16 then be capped with a low-permeability engineered
17 cap to control the infiltration of precipitation.
18 In this alternative, we want to prevent the
19 buildup of groundwater within the barrier wall, so
20 we want to create an upward hydraulic head to
21 extract the groundwater to the surface. To do
22 this, 100 TreeWell phytoremediation installations
23 would be placed within the barrier wall.

24 Phytoremediation is the process of utilizing
25 trees to remove contaminants. These tree wells

1 pull contaminated groundwater up like an
2 extraction well through the roots of the trees and
3 treat the contaminated groundwater. There would
4 be two groundwater extraction wells also inside of
5 the barrier well that would be utilized until the
6 trees are established.

7 Alternative 4 is the excavation and partial
8 landfill removal. Under this alternative, the
9 area you see here outlined in blue would be
10 removed. This would include the part of the
11 Vaughn Landfill with underlying coal tar. The
12 area in green to the east side would stay in
13 place. This is the area of the Vaughn Landfill
14 without coal tar underneath. The total expected
15 excavation volume for Alternative 4 would be
16 around 154,000 cubic yards.

17 Alternative 5 is excavation and complete
18 landfill removal. This is the easiest alternative
19 to describe because all the Vaughn Landfill
20 material and all the coal tar is removed on Parcel
21 3. You can see that area outlined in blue. And
22 the total expected excavation volume for
23 Alternative 5 is around 184,000 cubic yards.

24 So let's compare the active remedies in a few
25 areas. I think this is a good slide to show some

1 things that should be considered when thinking
2 about which remedy would be chosen. These are all
3 very large removal projects and will involve a lot
4 of trucks to remove this material. Selective
5 excavation's biggest advantage, as you can see
6 here, is that it would require half as many trucks
7 as the other two options and be completed in half
8 of the time. Excavation and complete landfill
9 removal would remove the most coal tar and
10 landfill material from the site, but it will take
11 six to seven years to complete. "How long are you
12 as a community willing to see work going on at the
13 site?" is a question you will need to ask because
14 it will -- these will be long removals. Our
15 experience has been that truck traffic around
16 these sites is usually steady but not
17 overpowering, and the truck noise is similar to
18 other traffic in the area. One other thing to
19 note about these construction schedules is that
20 due to seasonal weather and flooding, we'll likely
21 only be able to work about eight months of the
22 year.

23 So the Department evaluated all the
24 alternatives utilizing the National Contingency
25 Plan's criteria for selecting a remedy and has

1 chosen Alternative 5 as DHEC's preferred
2 alternative. Let's take a look at the criterion
3 that was used. Here are the criterion DHEC
4 utilized to evaluate and compare the different
5 remedial alternatives to select a remedy. The
6 first seven criteria have been evaluated in the
7 Focused Feasibility Study. The last one is
8 community acceptance. Community acceptance is why
9 we are here tonight and why your comments are
10 important.

11 I'm going to go through those first seven
12 criterion with you and explain what we are looking
13 at when we are comparing the criterion to the
14 remedial alternatives. So the first one is
15 overall protection of human health and the
16 environment. This is how each alternative
17 achieves and maintains adequate protection of
18 human health and the environment. The second one
19 is compliance with applicable or relevant and
20 appropriate requirements. This is how each
21 alternative complies with federal and state laws
22 and regulations. The third one is long-term
23 effectiveness and permanence. This evaluates the
24 effectiveness of alternatives in maintaining
25 protection of human health in the environment

1 after response objectives have been met. The
2 fourth is reduction of toxicity, mobility, or
3 volume through treatment. This is how well the
4 remedy can permanently and significantly reduce
5 toxicity, mobility, and volume of the impacted
6 media. The fifth one is short-term effectiveness.
7 This evaluates the effect of the remedy on human
8 health in the environment during construction and
9 implementation of the remedial action. And the
10 sixth one is implementability. This evaluates the
11 technical and administrative feasibility of each
12 alternative and the availability of materials and
13 services required to complete the remedy. Now,
14 the seventh criterion is cost. Here's a breakdown
15 of the estimated cost for each of the
16 alternatives. The active remedies range from
17 close to \$19 million up to close to \$40 million.
18 These are estimates and have a pretty wide
19 plus/minus range of what the actual cost may be.

20 So that brings us to this chart where we
21 compare how each alternative ranks in meeting each
22 criteria we discussed above. Each alternative is
23 ranked from 1 to 6 on how well it meets the goals
24 of each criteria, with 6 being the most and 1
25 being the least. Alternatives 4 and 5 ranked very

1 strongly in the comparison in most categories.
2 Alternative 3 comes out behind the other two, and
3 that source material that's left behind in the cap
4 and phytoremediation system would require a lot
5 more long-term maintenance and upkeep to remain
6 protectiveness (verbatim).

7 So that is the process we went through to
8 choose Alternative 5 as DHEC's preferred
9 alternative. When we have talked with
10 stakeholders for the site, the message we have
11 received is that there's a desire for all of the
12 coal tar to be removed and the old Vaughn Landfill
13 to be removed, and that people really have a sense
14 that they want to get back that restored *landfill.
15 In Alternative 5, all of the excavations will be
16 backfilled with clean soil and sediment, along
17 with the restoration of the wetland vegetation.
18 The Vaughn Landfill footprint would be backfilled
19 to match the existing contours of the surrounding
20 wetland area. Also, best management practices
21 such as silt fences, sediment tubes, rock ditch
22 check dams, and turbidity curtains would be
23 utilized to prevent sediment from migrating off-
24 site. Excavation, transportation, and disposal
25 has been successfully implemented to remediate

*Southern Reporting Note: Our office was alerted that the
speaker, inadvertently said landfill instead of wetland.

1 other manufactured gas plant sites. The
2 alternative would require some specialized
3 equipment for working in the wetlands. There
4 would also be installation of sheet-piling,
5 dewatering operations, and treatment systems would
6 be required.

7 Removing the coal tar impacted material and
8 landfill material from the site is most protective
9 of human health in the environment, provides long-
10 term health -- provides long-term effectiveness
11 and permanence, reduces toxicity, mobility, and
12 volume of source contamination and is permanent
13 and mitigates further groundwater impact.

14 Community acceptance of this remedy is what we are
15 asking for tonight. The Department will carefully
16 consider your comments prior to the remedy
17 selection. A public comment period will run from
18 tonight until August 6th, where we will accept any
19 comments you may have on the proposed plan that
20 has been presented. Comments can be sent to me at
21 the address listed here, and we'll share this
22 again later on, too. The Department will select
23 the final cleanup remedy after reviewing and
24 considering comments submitted during this time.
25 The public is encouraged to review and comment on

1 all the alternatives presented in the proposed
2 plan. If you support the Department's preferred
3 alternative or not, your comments can help shape
4 how the Department looks at community acceptance
5 of the preferred remedy.

6 All the information we have gone over tonight,
7 including the proposed plan and the Focused
8 Feasibility Study, is available for review on our
9 website at scdhec.gov/bramlett. This schedule
10 should give you an idea of when we think work may
11 start on the site. We first have to get through
12 the record of decision, which we expect to be
13 completed in late 2024. There will need to be an
14 agreement between the responsible parties to
15 conduct this remedy. We expect that remedy
16 implementation could begin within 12 to 24 months
17 after that agreement occurs.

18 So now we're kind of to a point where we'll
19 start looking to take any questions you might
20 have.

21 MR. BERRESFORD: Real quick, when you do ask a question,
22 please state your first and last name. We have a
23 court reporter who's been recording the meeting for
24 the record of decision in our administrative -- as
25 part of our administrative process.

1 MS. ELLENBERG: Good evening, everyone. I'm Kristy
2 Ellenberg, and Nate, I might need help turning on
3 this microphone that we can use in the question
4 period. A little technical difficulty there.

5 I want to thank everybody for being here this
6 evening. I'm Kristy Ellenberg. I'm part of the
7 Community Engagement Team for DHEC's Environmental
8 Affairs. And obviously, I am shorter than Lucas
9 and Greg. But again, thank you so much for being
10 here. We take our commitment to community
11 engagement so seriously at DHEC's Environmental
12 Affairs, and so it means so much to see how engaged
13 this community has been from leadership and
14 neighborhood level and everywhere that we turn.
15 And so even just seeing that we have such a full
16 house tonight, it means so much to us and our
17 commitment and this process.

18 And I do know we've got -- the pews are very
19 full here at Mountain View Baptist Church tonight,
20 but we also have other people who are joining us
21 virtually online. I do want to say that it's very
22 helpful for us to be able to stay in touch with you
23 and follow up with you. For those who came in
24 tonight, there were people at the back who were
25 helping you be able to register and let us know how

1 to contact you. There's a QR code that you could
2 even scan. So if you haven't done that, I
3 encourage you to do that before you leave tonight.
4 And that registration form is also available
5 online. So if somebody's watching us virtually
6 right now, I do want to encourage y'all to look at
7 that site where you joined and be able to sign in,
8 and that way we can continue to give you updates in
9 this process as well.

10 And look at that. I can go mobile. How about
11 that? So really, the key for tonight is to be able
12 to listen, to be able to hear your questions and
13 try to answer those, to be able to receive some
14 comments that could be helpful for this process.
15 So Elisa and I are going to be able to kind of move
16 around. So if you have a hand raised, we'll try to
17 get to you, and again, try to -- maybe I'll go on
18 this side and she can start over there. Sir.

19 MR. DILLARD: Sure. Christopher Dillard. Good evening.
20 Something I'm just sitting here thinking, so for
21 whatever reason, if the City wanted to do or build
22 anything on that land, how -- what is the process
23 for them concerning what's going on with the land?
24 Who would be responsible? For whatever reason, if
25 they chose to build anything on it, the City got

1 hold of the land and bought it, what is the
2 process? Who is responsible for cleaning that up
3 for any business?

4 MS. ELLENBERG: So, Lucas, if the City bought that land
5 or if there's a change of ownership of the land --

6 MR. BERRESFORD: Well, certainly, if anybody looked to
7 take ownership of the land, we would encourage them
8 to go through our Brownfields Cleanup Program to
9 get protections from any liability for the existing
10 contamination of the site. That would kind of be a
11 first step we would recommend. The work, the
12 remediation work, we're working with the
13 responsible parties to get all of this work done.
14 So hopefully, at the end of the day, we do have a
15 piece of property that can get put back into a
16 reasonable use.

17 Now, a lot of the area that we're talking
18 about cleaning up is wetland. So whatever could
19 be built in those wetland areas would be limited.
20 But there are other pieces and parts of this that
21 could be redeveloped. The manufactured gas plant
22 property itself has already had a removal
23 conducted there. There's -- I think, in the
24 course of the removal on Parcels 1 and 2, there's
25 a very small amount of soil that will be removed,

1 and then there won't be any restrictions to reuse
2 of those properties.

3 MR. PRUITT: My name is Edgar Pruitt. I have a
4 question. This is a two-part question. I happened
5 to be involved in the Love Canal cleanup in Upstate
6 New York in the early '80s, and they had done a
7 cleanup part of that project, but after an
8 earthquake, it broke the project loose, and all of
9 a sudden, the contaminants started to come forward,
10 and all these kids got cancer. I mean, a whole
11 school got cancer from that. So what I'm asking
12 is, are your studies factoring in the effect of an
13 earthquake and releasing these toxins back into the
14 environment or back into the surface soil?

15 MR. BERRESFORD: I think the beauty of the remedy that's
16 being proposed for cleanup is that all of this
17 material is going to be gone. it's all going to be
18 dug up, it's going to be sent to a proper disposal
19 facility, and long-term impacts after the course of
20 the removal action is done is some groundwater
21 monitoring of any residual material that may have
22 migrated to the groundwater, and then kind of an
23 evaluation to see, okay, did the removal actually
24 clean up the groundwater, or is there more action
25 that needs to be done for that. But as far as

1 moving material, since it's not being left in place
2 under the proposed alternative, that wouldn't be an
3 issue because it would be gone.

4 MS. ELLENBERG: I see another hand here.

5 MR. GARDNER: Good evening. My name is Charles Gardner.
6 A couple of parts to this question. When you start
7 talking about removing this and digging it up and
8 all this, one of the things that you mentioned was
9 a 25-foot retention wall. How did you come to 25
10 feet? That's not very deep. The other is, when
11 you start to turn over all the soil, is there any
12 possibilities for contaminating the river? And are
13 there possibilities for airborne contaminants to be
14 released as a result of all the truck movement and
15 excavation?

16 MR. BERRESFORD: Those are some good questions. I'm
17 going to try to work my way through them. The
18 reason they looked at a 25-foot sheet piling wall
19 in that area was they're looking to go down about
20 16 feet to excavate, and you always want to drive
21 down deeper than you're excavating, so just as a
22 safety factor to ensure everything stays in place.
23 The contamination in that area goes down about 16
24 feet, so by driving 25 feet down, you're locked in
25 below the area that you're trying to excavate to.

1 It's one of the basic safety factors for using
2 sheet piling for those type of excavations.

3 We've worked on a lot of these manufactured
4 gas plants, and the concerns about odors and
5 vapors and all like that, there's a lot of things
6 on the market to help knock those down. There's a
7 lot of sprays and foams that suppress the odor,
8 allows the material to get put in the trucks and
9 taken off. We just recently did a very large
10 removal near a residential area in Columbia, the
11 same material. And actually, surprisingly,
12 through about a two-year process, we didn't have
13 any odor complaints or complaints of truck traffic
14 because everything kind of blended into what was
15 already going on in that area. And it was a big
16 concern of all of the citizens before the action
17 actually started.

18 Was that all the parts of your question?

19 MR. GARDNER: The digging up on the (inaudible).

20 MS. ELLENBERG: So --

21 MR. BERRESFORD: Okay. Okay. As far as --

22 MS. ELLENBERG: -- is there any danger of contamination
23 in the river during the digging?

24 MR. BERRESFORD: There's some safety precautions that
25 would be put out. So when they would be excavating

1 in the lower area that would have the most
2 potential to migrate to the river, there would be a
3 series of retention areas to keep any of the
4 contamination from migrating off into the river.
5 And then as they move back, those would be put in
6 place to keep from re-contaminating the area that
7 you just cleaned up, because you don't want this
8 stuff moving into an area you just spent a few
9 months cleaning out. You don't want it to migrate
10 into it. So there'll be a -- in the design,
11 there'll be a series of what -- protective steps
12 put in place to assure that that doesn't happen.

13 MR. GARDNER: I assume that there would be a type of
14 monitoring of the --

15 MS. ELLENBERG: There's --

16 MR. BERRESFORD: Yes, sir. That's something that's
17 pretty much looked at on a daily basis when they're
18 going through their safety checks, is to make sure
19 all of those safety factors that are put in place
20 to prevent things from migrating are working the
21 way they should be. And if they need to stop work
22 and make sure that they fix those, those things
23 will be done.

24 MS. ELLENBERG: And just for everyone's benefit, that
25 follow-up question was there would be monitoring of

1 that situation as it progressed.

2 We've got a question over here.

3 MR. MCKINNEY: Yes. My name is William McKinney. Y'all
4 were saying that y'all have done studies on the
5 river and all that, but I want to know -- I grew up
6 over here, and I played back there. Have there
7 been studies that people who grew up -- how that --
8 to see how that affected us, you know, because I
9 played -- I went to Hattie Duckett before it became
10 Legacy. I went to Hattie Duckett, and I also went
11 to Parker High School, and I also played back there
12 in that wetlands. My tennis shoes got that tar all
13 over it. I got a lot of whoopings for that. So,
14 you know, is it a study for people -- I'm 71 years
15 old. Is there a study for people like myself?

16 MR. BERRESFORD: That's a really good question. That's
17 also a really hard question to answer because we
18 don't have a lot of data prior to 2000/1990s
19 timeframe as to the contamination, where it was,
20 and where it was getting to. So we can speak to
21 how things are kind of today, but we really can't
22 speak to the past and potential exposure pathways
23 and things that were there back when the plant was
24 operating, back, you know, before the landfill went
25 in place. We can only really look at it in the

1 time that we were able to collect data and study
2 it.

3 MS. ELLENBERG: I see a question here, and then maybe we
4 can get to this row.

5 MS. BROWN: Hi, I'm Melanie Brown, and I'm really
6 pleased to see that SC DHEC is recommending
7 Alternative 5, because although the contamination
8 has occurred today, we're now being responsive to
9 the generations that come behind us. So I'm really
10 glad to see that. I also recognize that it is a
11 longer journey, so I did see six- to seven-year
12 cleanup. Do you-all have experience or examples
13 where projects like this have been able to create
14 workforce development programs? Because there is
15 an economic component that could reinvest back into
16 the community through job creation with something
17 like this.

18 MS. ELLENBERG: So, Lucas, can y'all speak to any job
19 creation that's happened with some similar actions
20 or remediations?

21 MR. BERRESFORD: I would say I don't really have any
22 good examples of where that's occurred during the
23 course of the cleanup. But we have worked with
24 many companies across the state to clean up sites
25 and then get them back into reuse and, you know,

1 businesses and other things in places that had a
2 blight of contamination. And so in the long term,
3 after remediation is done, there's potential for a
4 lot of redevelopment of the area that could provide
5 some of those opportunities.

6 MS. ELLENBERG: I'm seeing a hand up close over here.

7 MR. LLOYD: Thank you. Bob Lloyd. I wanted to ask
8 somewhat of a related question. The redevelopment
9 and creation of jobs and so on might be a ripple
10 effect later on, but you mentioned having
11 experience with a project in Columbia that probably
12 relates to some of the criteria that you're using
13 here. Do you have other examples strictly from an
14 environmental standpoint of what we might call
15 "success stories" in the state?

16 MR. BERRESFORD: Well, with this -- let's just talk
17 about manufactured gas plants in general. Between
18 Greg and myself, we've worked on ten of them in the
19 state of South Carolina. EPA was the lead on
20 probably the most notable, which the Charleston
21 Aquarium now sits on. And there's a lot of other
22 commercial development that has occurred around
23 where this contamination was in the past, and EPA
24 worked with the responsible parties to get those
25 cleaned up. Recently, we have worked with Dominion

1 Energy to clean up a large area of the Congaree
2 River where coal tar had gotten into. That was
3 about a two-year project, but there was an area of
4 the riverfront that was not being developed because
5 of this stigma, and now we're hoping in the coming
6 years that that's going to lead to some more
7 redevelopment of the riverfront there because it's
8 a prime piece of land to be developed.

9 We're in the process of, through our
10 Brownfields Program, working with some people to
11 redevelop the former manufactured gas plant in
12 Columbia. There were two. One of them has already
13 been redeveloped and has several businesses on top
14 of it and some residential housing, apartments. So
15 a lot has been done on these manufactured gas
16 plants, and almost exclusively the remedies have
17 been digging the material out and getting rid of
18 it. Things -- different things have been tried,
19 but ultimately, we end up coming back after
20 evaluating it over a few years and saying, "No,
21 we've got to go back in and dig this material out."
22 It's just -- all the things that are in it and the
23 way that it moves, it just is -- once it's removed,
24 the groundwater starts cleaning up, the
25 concentrations start dropping. We've seen great

1 effects from all ten of the ones that we've done
2 removals on.

3 MS. ELLENBERG: We have another question here.

4 MS. PENNIE: My name is Brenda Pennie, and you have a
5 contamination clump close to the Legacy School.
6 How close is it to the school, and will you have to
7 evacuate the school, or how would you handle that?

8 MR. BERRESFORD: The contamination actually does not go
9 under the school. There's a driveway kind of
10 around the school. There are some impacts under
11 that. It's about 16-feet deep that they would have
12 to go, so certainly, working with Legacy to find
13 the best way to do that. The majority of the
14 contamination over there is in a wetland area that
15 is actually outside of the Legacy fence.

16 UNIDENTIFIED FEMALE SPEAKER: I have two questions, too.
17 The largest one is, as you're doing all this
18 excavation, what happens to the materials that
19 you've dug out?

20 MR. BERRESFORD: In the majority of the cases, they've
21 either gone for incineration or disposal at a
22 landfill.

23 UNIDENTIFIED FEMALE SPEAKER: Okay. And the Vaughn
24 Landfill was -- I guess you would call it a "rogue
25 landfill," described as a "C&D," but God only

1 knows, in a nonpermitted landfill, have you had
2 time to do the testing to be sure that there's not
3 a lot of other poisonous and difficult -- and VOCs
4 in that area?

5 MR. BERRESFORD: There's been a lot of testing through
6 and around the landfill. Have we dug into the
7 material to see what, actually, we're going to run
8 in front of in a few places? But you're absolutely
9 right, and that's part of some of the thought
10 behind removing everything, is, if we leave
11 something -- and we have done these removals where
12 we take a part of the problem away and we go,
13 "Okay, it's going to get better." And then after
14 monitoring it, ten years later, we're going, "Well,
15 it didn't get better. What happened here?" And we
16 end up having to go back and do the same thing
17 again.

18 So here, looking at the full picture, trying
19 to get all the impacted area from -- be it landfill
20 or be it coal tar contamination out gives us the
21 best chance of success in the long-term.

22 DR. KILGORE: Dr. Colleen Kilgore. My question is to do
23 with the amount of 39.5 million for Alternative 5
24 in that have you looked at -- does it include
25 inflation and unforeseen events? Because a lot of

1 times you start with a project, and it goes a lot
2 -- you know, the money goes up, and then we're back
3 at the table thinking about it. So I want to know,
4 is there any money that's added to that, or are you
5 considering that so that this project will actually
6 come to -- and then, because the one you did
7 previously, you said two years. We're talking
8 about six years. A lot of things change in six to
9 seven years.

10 MR. BERRESFORD: Greg talked at the end about an
11 agreement between the responsible parties and DHEC
12 to perform the action. That's not saying if the
13 action costs more than \$39 million, well, that's
14 it. It's saying, "You're going to conduct this
15 action in its entirety." The one that we did in
16 Columbia, the initial volume was estimated as
17 53,000 cubic yards. It was 160,000 cubic yards.
18 And it was supposed to take a year. It took three
19 years. But at the end of the day, all of that
20 material was removed down -- in that case, I think
21 we went over 30 feet in downtown Columbia against
22 one of the busiest streets without any interruption
23 of anything.

24 So as far as the financing, that's to be taken
25 care of by the responsible parties after they get

1 in their agreement with us.

2 MR. CASSIDY: Yeah. When we talked about cost, one of
3 the things I mentioned is there's a pretty wide
4 plus/minus range around those costs, and those
5 ranges are like 30 to 40 percent. So there's an
6 expectation you could be at either end of that
7 stick. When you look at -- with inflation, who
8 knows how high it's going to go, the way things
9 have been going so . . .

10 MR. BERRESFORD: And one more thing on that. The
11 timeframe is really an estimate. We're saying
12 seven years; it could be five years, it could be
13 ten years. It just depends on how many issues and
14 things get run in through that process. But once
15 the process starts and the work begins, we're
16 committed to see it through to the end.

17 MS. ELLENBERG: Okay. I think I have four people with
18 questions over here.

19 MR. MILLS: Thank you. My name is Stacey Mills, and I
20 represent Mountain View Baptist Church and the
21 Parish House Community Development Corporation.
22 And I'd like to say that there are a lot of regrets
23 around where we are and what brings us here tonight
24 in terms of this community kind of being pushed to
25 the side or ignored in this process in terms of the

1 people who have lived here and for generations have
2 encountered negatively the interactions with the
3 site unknowingly. The question that I raise,
4 however, is the timeline that we are currently in,
5 in terms of the VCC and from Feasibility Study to
6 tonight's meeting, has afforded the community and
7 the congregation to ready itself for or through the
8 process of a community-led master plan. What has
9 been your experience for those types of plans led
10 by the community in relationship to the cleanup
11 efforts in your past experience?

12 MR. BERRESFORD: I think when we're pairing DHEC with
13 the community and getting an idea of their plan and
14 what their purpose is and how they see their
15 community in the future, I think it helps a lot. I
16 think the communications we've had through the past
17 public meetings are what led us to propose this as
18 our alternative, because on multiple occasions, we
19 heard members of the community saying, "We want it
20 all gone. We don't want you to leave part of it.
21 We want it all gone. We want the problem out of
22 here. We want it put back to as pristine as you
23 can get it." And that's our goal here. And
24 hopefully -- I know that in Spartanburg, there was
25 a community-driven redevelopment that has been

1 highly successful on the national scale, and
2 hopefully, we will see the same thing here.

3 MS. ELLENBERG: Another question.

4 MR. CHILDS: Hello. My name is Lester Childs. So it
5 sounds like we have already been doing -- I think
6 it was Alternative 2, basically monitoring the land
7 for the last seven years. What have you learned in
8 those seven years? Is it migrating? Is it getting
9 worse? What is going on from the data that you
10 found through the last seven years?

11 MR. BERRESFORD: Okay. Over the last seven years, a
12 lot of what we were doing was trying to find the
13 extent of it. We knew there was contamination
14 there. There was a long history of monitoring that
15 led us to say, "We need to do more, we need to look
16 more, we need to assess more, we need to figure out
17 what's happening here." And over these last seven
18 years, that's been exactly what's happened. It's
19 been phase after phase of additional assessment to
20 figure out exactly where the tar material has
21 migrated to, how much is there. I think what we
22 found was a little surprising, that there was more
23 there than we initially thought was there, which is
24 what drove us to get to this point of proposing the
25 removal action.

1 The contamination in the groundwater is
2 typically how we monitor these sites. Those
3 concentrations have been fairly steady over time.
4 We don't see a lot of fluctuation in that. We
5 don't see -- we haven't seen anything in the
6 surface water down the Reedy, where it potentially
7 could have discharges from that wetland to the
8 Reedy River. We haven't really seen that. So it's
9 pretty stable, but there's a lot of contamination
10 there, if that makes sense.

11 MS. ELLENBERG: Thank you. Lucas, we got another
12 question here.

13 MS. WILLIAMS: Hi, my name is Janice Williams, and I'm a
14 member here at Mountain View. And I just want to
15 make sure I was understanding the question that Mr.
16 McKinney had posed to you just a few minutes ago.
17 Because of the fact there have been so many
18 families that lived over in that particular area,
19 is there any possibility that at some point in
20 time, that there could be some type of health
21 issues that could come up? Because, I mean, if the
22 contamination, from what I'm hearing, is bad now,
23 then it sounds to me like it's been something
24 that's been progressing over the years. So if you
25 had folk that have lived over there and didn't

1 realize that it was contaminated, you know, and as
2 he was saying, you get older and then you have --
3 what you call it? -- well, cancer cells or whatever
4 the case may be that comes up, would that actually
5 have anything to do with that? Or can it affect --
6 can it be affected to us later on?

7 MS. ELLENBERG: So, Lucas, the question, again, is about
8 health impacts from previous exposure, past
9 exposure over the course of this contamination.

10 MR. BERRESFORD: I'm an engineer by trade, not a
11 toxicologist or anything like that. We do have a
12 health side of the State that can maybe answer some
13 of those questions for you. I'd be happy to take
14 your information from both of y'all and try to find
15 someone who might can follow up and answer those
16 questions better than I, because I do not have the
17 answers to those questions, unfortunately.

18 MS. ELLENBERG: And maybe this is a good point to --
19 when Lucas started out -- on July 1st, we will
20 become Department of Environmental Services. We're
21 currently Department of Health and Environmental
22 Control. We're still going to be partnering and
23 working closely with the Department of Public
24 Health that's going to also be launching on July
25 1st. So I know we can -- we have someone who's

1 kind of a designated kind of bridge to Department
2 of Public Health and our health side of the agency.
3 So I think maybe that's something that we can try
4 to work to follow up on, if that would be helpful.
5 And thank you for -- we appreciate his engineering
6 expertise, right? Thank you so much.

7 MR. PEDEN: I have one comment. My name is S.T. Peden
8 with the Minority Economic Development Institute,
9 and a young lady back here broached the subject of
10 during all of this cleanup, there will be a lot of
11 jobs. I realize you're going to go with larger
12 contractors, but consideration should be given to
13 people who are interested and have businesses in
14 this area that have been affected, be given an
15 opportunity to be a part of this money that's being
16 spent to clean it up as well. We've lived in it
17 for years. Now the money starts to get -- if we
18 aren't careful, all the money goes to the cleanup,
19 and we're left out of that part. So we would ask
20 that you consider with -- when you're selecting
21 contractors, that they have a commitment to the
22 utilization of minority businesses in the cleanup
23 product.

24 MS. ELLENBERG: Thank you for sharing that comment.
25 Another question here.

1 MS. J. SMITH: Hello, I'm Jacquelyn Smith. I'm a member
2 of Mountain View Baptist Church. I'm also a
3 material scientist in this area for a local
4 engineering firm. I was looking at your
5 PowerPoint. I have a couple of questions in
6 regards to your hydraulic controls that was a
7 potential or possible solution to cleanup. So when
8 you're talking about phytoremediation, it's usually
9 used for low to medium amounts of toxins in an
10 area. What would you say from your lips is the
11 toxicity level of that area? That's my first
12 question. And two, how did we get that number of
13 possible trees that are going to be used for that?
14 And three, how many times do you expect to have to
15 replace those trees? Four, when it comes to that,
16 what is our solution to getting rid of those trees,
17 and what's our carbon output for that? That's it.

18 MR. BERRESFORD: Now, I would start by saying that's why
19 we're not proposing Alternative 3.

20 MS. J. SMITH: It's up there.

21 MR. BERRESFORD: A lot of these things were looked at,
22 and when you start looking at could something be
23 done to create a hydraulic upheaval that could pump
24 out the area, the answer is possibly there could.
25 I think one of the reasons it scored low is because

1 kind of whether it would work or not is a little in
2 question here, especially with coal tar material.
3 And is it going to be able to create a good enough
4 vacuum there to pull that material up? There was
5 also some just general concerns -- as you
6 mentioned, we have had some success with
7 phytoremediation on other sites. Typically, the
8 contamination is very shallow, and we're talking
9 about things around the Charleston, Myrtle Beach
10 type areas, not Greenville. So when evaluating it,
11 once again, those were things that made that remedy
12 score lower in the evaluation criteria. Could it
13 be done? Possibly. Would it work? Maybe. Those
14 aren't really things that we want to select as our
15 preferred alternative. We would prefer to pick
16 things that we have a proven track record of it
17 working, where we've done it, we've seen success.
18 So that's kind of why that got left out.

19 The other option would be if you could not get
20 the tree wells to work. You have a groundwater
21 extraction system doing the same job. That's why
22 extraction wells were being put in there in the
23 beginning, because the tree roots wouldn't go down
24 deep enough to create that hydraulic head. Those
25 systems where they can be effective at containment,

1 once you start one of those, they run for a very
2 long time. As long as we have materials still in
3 place, it's going to be very hard to clean a whole
4 lot up.

5 MS. ELLENBERG: I had another question here.

6 MS. C. SMITH: I'm Claudia Smith. You may have answered
7 this, and I may have missed it, but you did say
8 there was an area where Mother Nature provided a
9 remedy by laying clean soil over an area. Did you
10 say that that's an area where you would not be
11 evacuating and cleaning up? And then my other
12 question is -- I kind of get lost, even with GPS.
13 So you may have answered this, and I missed it
14 because I'm not that really good looking at maps
15 and knowing where you are. But with respect to the
16 area that you are going to evacuate, clean up, get
17 rid of everything, does that area butt up against,
18 for want of a better word, the area near the Reedy
19 River where you've already done cleanup? You have
20 "confidence," I think, was your word, that there's
21 not going to be any contamination in the river.
22 Well, all the areas where you are now proposing to
23 do the cleanup, are all of those areas going to
24 butt up against that area So we then, too, will
25 have the confidence that all the surrounding areas

1 are just as clean as the one that you have the
2 confidence in?

3 MR. BERRESFORD: I'm going to try my best. Yes.

4 Basically, a new drainage system was put in where
5 the water that kind of comes down off of the
6 landfill toward Willard Street crosses over the
7 Reedy River. A lot of engineering controls were
8 put in place to prevent any sediment or
9 contamination from migrating further and going out
10 to the Reedy River. Those are going to remain in
11 place. The area that we're talking about now is
12 moving from that back up toward the manufactured
13 gas plant. So the goal is to make it all so all
14 the tar is gone. Where we said that things had --
15 Mother Nature had covered over, that's great from
16 a, "You're not going to walk out there and step in
17 it," but it's not a long-term solution for it being
18 there. So all the areas where coal tar is present
19 in Option Number 5, it will be removed.

20 MS. ELLENBERG: Lucas, I was trying to see if we can
21 pull that map back up. It might be a helpful slide
22 to have up there as we continue these questions.

23 MR. BERRESFORD: And one thing, when you see these
24 areas, coal tar is very noticeable. When you see
25 it, you know you're in it. So this is, once again,

1 an estimate of what would be excavated. When we
2 get out there and actually begin the work, If
3 there's coal tar, they're going to get it. They're
4 not going to leave it. That was the whole purpose
5 of the remedy.

6 MS. ELLENBERG: And maybe, Lucas, just to help people
7 kind of -- can we get our bearings of where the
8 roads are, where -- I see the Reedy River up there.

9 MR. BERRESFORD: Right. Up at the top is --

10 MS. ELLENBERG: We might have a little pointer up there
11 that could help.

12 MR. BERRESFORD: Yeah. (To Mr. Cassidy) You have a
13 pointer? Oh, it doesn't show on the slide. Up at
14 the top of the screen is East Bramlett Road.

15 Coming down here is North Washington and then --

16 MR. CASSIDY: West Washington.

17 MR. BERRESFORD: West Washington, excuse me. My eyes
18 are not as good as they used to be. I apologize.
19 And then Willard Street is down here on the bottom.
20 The Reedy River is over here on the left side.

21 MS. ELLENBERG: So, yeah, sometimes I have to get my
22 bearings on a map, too. I see a question here and
23 then some at the back, and then I'll come back to
24 the middle.

25 MR. JOHNSTON: I'm Scott Johnston with Johnston Design

1 Group, and we worked with the community on the
2 community-led master plan. And that last slide,
3 actually, is very helpful if we can put it back up
4 there.

5 As you're aware, there's been -- this
6 community has had to deal with a lot of flooding
7 over the years. And some of that was, frankly,
8 probably aggravated by the rogue landfill, where
9 the grades were increased, creating more runoff.
10 Has there been thought given to when the soil is
11 replaced after the cleanup, about bringing hydric
12 soils in, restoring wetland, perhaps getting it
13 back to its more natural, original grade to help
14 mitigate some of that downstream flooding?

15 MR. BERRESFORD: I think that's kind of a plan to be
16 worked out in the design and restoration plan. But
17 that is -- the general concept is the majority of
18 this area will be put back into a natural wetland
19 form, which hopefully, does have some of the
20 positive impacts on drainage and things like that,
21 because we've noticed that a lot of areas that were
22 completely covered in water, when some work was
23 done to some of those drainage pathways, they
24 drained out pretty good. But hopefully, getting
25 everything cleaned out and restored will have a

1 benefit to the community.

2 MR. LOWDEN: Yes. My name is Bobby Lowden. I grew up
3 here in this area, and I've been hearing things
4 here that -- from my -- one of my deacons that I
5 work with here in this church. I was involved in
6 some of that bad stuff we were doing here, going
7 swimming in the tar and where we shouldn't have
8 been. But what I want to know is, like, up in
9 Virginia with -- where they have the -- excuse me,
10 I'm a little confused right now. But I've heard of
11 McKinney talking about what happened to him. But
12 there are people here that I grew up with that was
13 here. They are gone. Hundreds of them are dead
14 that grew up in this community. And I was sitting
15 there thinking about it. I left here when I was 21
16 years old, and I can think of only five people
17 that's still living that I grew up with. So
18 something is wrong. They're doing something about
19 Camp Lejeune. There's something going on here,
20 too. That's about all I have to say.

21 MS. ELLENBERG: Thank you. Thank you for that comment.
22 And again, Lucas, I think we can try to do some
23 additional follow-up after tonight, looking at the
24 health questions that are being asked tonight. So
25 thank you so much. Got a question here.

1 MS. MILLS: Hi, my name is Kiersten Mills. I grew up
2 here, and I've enjoyed watching Greenville grow.
3 Wasn't there a sister site or another site that's
4 similar to the Bramlett site? And how long was the
5 timeline, and what does it look like today?

6 MR. BERRESFORD: There was another site in Greenville.
7 It was on Broad Street. It had a very similar
8 removal done on it that was done on the landfill --
9 not landfill -- on the former manufactured gas site
10 plant here. Actually, more material was removed on
11 the manufactured gas plant at Bramlett than was on
12 the Broad Street site. They had a developer who
13 came in who wanted to redevelop the site, and I
14 believe there's -- I don't know if they're
15 apartments or condominiums, but that is what has
16 gone up on that facility after the removal was
17 complete.

18 Now, comparing apples to apples, they weren't
19 dealing with contamination in the wetland that had
20 traveled down old stream beds. They weren't
21 dealing with the landfill that had been put on top
22 of the material. So they basically were going in
23 and excavating out the coal tar, removing it,
24 bringing in clean material, and then were able to
25 redevelop that problem.

1 MS. ELLENBERG: So I have a question here.

2 MS. FREUND: Hi, my name is Lydia Freund, and I'm a city
3 resident. I'm wondering, CSX is still going to own
4 this property. Are we, with our tax dollars,
5 enriching them by cleaning up the mess they made,
6 or -- that's question number one. And how much of
7 this property, this land is protected by wetlands,
8 you know, laws and protections, legal protections?
9 I'm just concerned that CSX is still going to own
10 this property and tons of tax dollars are going
11 into clean up their mess.

12 MR. BERRESFORD: Well, that's a good question. I want
13 to start by saying it's not tax dollars that are
14 being used to clean up this mess. The DHEC works
15 under an agreement with responsible parties. The
16 responsible parties are the ones funding the
17 cleanup for these sites, so it's not tax dollars
18 being spent to clean up the site. CSX does own all
19 these properties, and they've been working with us
20 and meeting with us as we've moved through this
21 process.

22 MS. FREUND: They will still own the property?

23 MR. BERRESFORD: Unless they decide to do something else
24 with the property, they will still own the
25 property.

1 MS. FREUND: So I'm assuming it can't be developed
2 because there's easements, and if it's wetland, it
3 can't be developed.

4 MR. BERRESFORD: There would be limits on the area that
5 was wetland that could be developed. Parcels 1 and
6 2, there's really nothing that hinders development
7 of those two parcels in the future, because that's
8 where the former manufactured gas plant was. And
9 there's been various businesses on the other
10 property in the past. When we moved to the Vaughn
11 Landfill area on Parcel 3, the majority of that is
12 going to be restored as a wetland, so there would
13 be limits on what could be done there as well.

14 MS. FREUND: Are there sections of the property that CSX
15 could, at their option, choose to cap over?

16 MS. ELLENBERG: So property they could sell or give or
17 donate or develop in some way?

18 MR. BERRESFORD: I mean, I'm not going to speak for CSX
19 under any circumstances there. They're going to
20 have to make the decision on what to do with their
21 property. Certainly, there's areas of that
22 property that could be redeveloped. There's going
23 to be areas that, just due to it being a wetland,
24 are going to have great limitations on what can be
25 done there. I know there was some talk of -- you

1 have the Swamp Rabbit Trail that runs down there.
2 Maybe some nature trails through there or something
3 along that might be the best end use that could be
4 facilitated for that. But once again, the property
5 belongs to CSX, and that's a decision for CSX, not
6 DHEC.

7 MR. DILLARD: You want me to speak to that?

8 MR. BERRESFORD: (To Mr. Dillard) You want to come up?

9 MR. DILLARD: Yeah, sure.

10 MS. FLOYD: Excuse me. I just wanted to say something
11 before -- I wanted to -- my name is Adrienne Floyd,
12 and I was interested in you talking about how the
13 engineers are protecting the Reedy River. I wanted
14 to know which way is the wastewater flowing? And
15 if it's not flowing toward the Reedy River, is it
16 coming back toward Bramlett?

17 MR. BERRESFORD: Everything is basically flowing down
18 parallel to the Reedy River. And then there's an
19 outfall that comes down by Willard Street where the
20 water drains off to --

21 MS. FLOYD: So it drains back toward us?

22 MR. BERRESFORD: -- to -- it comes down here, and then
23 it goes over to the Reedy there. And at the point
24 where it's going over to the Reedy River, down off
25 this figure here, that's where samples have been

1 collected. That's where we're not seeing impacts.
2 That's where engineering controls moving back
3 toward Bramlett have been put in place to keep
4 contamination from moving.

5 MS. ELLENBERG: I've got a question back here after John
6 is --

7 MR. DILLARD: Yeah, thanks. John Dillard with CSX.
8 Just wanted to speak to the property aspect of it.
9 Certainly, we will retain ownership of the
10 property, but certainly open to conversations about
11 what, you know, it looks like in the future. We've
12 had some initial conversations with Pastor Mills to
13 understand, you know, what the community might like
14 to see, particularly on that wetlands parcel. You
15 know, outdoor classroom space and things like that
16 have been proposed, and nothing final yet, but
17 we're certainly open to those conversations going
18 forward.

19 MS. ELLENBERG: Okay. I have another question back
20 here.

21 MR. HALLEMAN: Excuse me. My name is Frank Halleman.
22 Excuse me. Allergies. My name is Frank Halleman.
23 I live here in Greenville. I've had the privilege
24 -- not privilege, I've had the task to work on a
25 number of utility toxic cleanups in South Carolina

1 and here in Greenville. And I've had the
2 opportunity to review the records here of this
3 site. So I'd like to ask -- make a comment, public
4 comment for the record, and also ask a couple of
5 questions. One is, I do think it is long past time
6 that this illegal landfill and the toxic coal tar
7 in the area and this illegal ditch that carries
8 contaminants to the Reedy River be cleaned up,
9 should have been done years ago. What I'm most
10 concerned about in this proposal is that there's no
11 proposal to clean up the groundwater. But I think
12 it's important, if you review the records, to
13 realize we're here because DHEC, not the gentlemen
14 here, but their predecessors, and Duke Energy put
15 us here. This -- as the chart showed us and as the
16 records show, this illegal landfill operated for
17 six years. Anyone could see it, any agency, any
18 company, but nothing was done to stop it until 1993
19 and 1994. And when the dump was finally closed in
20 1994, neither DHEC nor anyone else did anything to
21 make it be removed. So the existence of the
22 landfill is no excuse for delay. It shouldn't have
23 been allowed to remain. And if you look at the
24 records, believe it or not, thereafter, Duke went
25 to DHEC and used the illegal landfill as an excuse

1 not to remove the coal tar, and DHEC accepted that
2 excuse at that time, in the '90s.

3 This site has been studied, monitored,
4 measured for 30 years, and it's still sitting here
5 in the center of the city of Greenville, in this
6 community by the Reedy River on the edge of now
7 Unity Park. And as the commenter suggested, it is
8 in stark contrast to what has happened in the rest
9 of the state and in Greenville. The point she made
10 is absolutely true. There are two of these sites
11 in Greenville that polluted Lake Conestee. That's
12 one of the major reasons Lake Conestee is so
13 contaminated. The one on Broad Street, right near
14 McDaniel Avenue, was excavated to the bedrock. The
15 groundwater was pumped and treated. There was a
16 little -- that's according to -- the records say
17 that groundwater was treated. And by the way,
18 there was a stream that flowed through what is now
19 the quarry park that conveyed that contamination to
20 the Reedy River. You can see it. Whereas that
21 site was renovated and now has luxury apartments on
22 it and a bank, this site is still sitting here.

23 But it's not just in Greenville. I worked on
24 a site in Conway, South Carolina. Santee Cooper
25 was forced to remove 3 million tons of coal ash out

1 of the center of Conway through beach traffic.
2 They started in 2014, right before this VCC. They
3 finished by 2020, and that site's now a city park,
4 and we're still sitting here talking about this.
5 Duke Energy, in its hometown of Charlotte, was
6 required to remove 4 million tons of coal ash from
7 a site. They started in 2016 when this VCC hearing
8 was held, finished in 2020, four years ago, and
9 we're still sitting here. Now, that's like 20
10 times the size of this site. This is not the
11 largest site in the world, but we're still sitting
12 here dealing with it.

13 Now, as I say, what concerns me is it's good
14 the landfill's finally going to be removed. It's
15 good the coal tar is going to be removed. It's
16 good the ditch is finally going to be cleaned up.
17 But the problem is, you keep referring to something
18 you call "monitored natural attenuation," and
19 everybody needs to know that means, "Do nothing."
20 That's what that means, "Do nothing." That means
21 you sit there and watch and wait for the
22 pollutants, many of which they didn't put on the
23 sign up here on the screen are known carcinogens.
24 And you let those dilute and flow out into the
25 surrounding environment, and this has been going on

1 for decades, and they're still there. Why is there
2 any belief that this is going to flow out instead
3 of to treat the groundwater and remove it from
4 flowing toward the Reedy River? I will say, I must
5 disagree with you that there's no evidence of
6 contamination of the Reedy River. We supplied that
7 evidence to you a few years ago, and we actually
8 met with DHEC and went over the results of the
9 study of contaminated sediments flowing through
10 that ditch and the evidence of testing of sediments
11 in the river showing contamination.

12 So I applaud you for removing this thing
13 finally, after 30 years of study, but we need a
14 complete cleanup, not just a partial one.

15 So when you talk about monitored natural
16 attenuation, I have a couple of questions on that.
17 Why do you have any belief that monitored natural
18 attenuation will remove contaminants, not just let
19 them dilute, flow in the Reedy River, flow in
20 surrounding groundwater, but actually will be
21 removed? What's the evidence of that, given the
22 fact it's stayed in the environment for years
23 already? And secondly, if you do believe it's
24 going to happen, will you tell us where the
25 contaminants are going to go and when they will be

1 eliminated?

2 MR. BERRESFORD: I want to make a couple distinctions
3 before I start taking your question apart and
4 giving you some answers. Coal ash and coal tar are
5 not the same thing by any stretch of the
6 imagination. But when you say "monitored natural
7 attenuation," part of the plan and part of the
8 remedy will call for a five-year review. It's what
9 we've done on all of the manufactured gas plant
10 sites when we've done removal. You are removing
11 180,000 cubic yards of material, of tar material.
12 You're also going to have to dewater a lot of these
13 areas because you're in a wet area. So a lot of
14 water is going to be removed, pumped out, treated,
15 disposed of through the course of a seven-year
16 process. There's no way to install a groundwater
17 treatment system now because it's just going to be
18 completely ripped out as they're doing the removal
19 action. But there will be a lot of groundwater
20 mitigation that must be done as part of the removal
21 action to get the material dewatered to the point
22 that it can be excavated. So there's a lot of
23 remediation that's going to occur over the seven-
24 year span. Once that is all done, we need to
25 monitor and understand what's left. And I can't

1 tell you what's going to be left there today
2 because we don't know where we'll get to with this
3 remedy. Once the remedy is complete, we usually do
4 a period of monitoring. We're making sure the
5 wetland's replenished and growing properly.

6 It's going to be a big mess when we start
7 trying to tear out a wetland area and replace it.
8 It always is. It takes a couple of years for it to
9 really take shape and form and get restored, and
10 we've done that over countless places across the
11 state.

12 So monitoring is always a component of an
13 active remedy, because you need to see what the
14 results of that remedy are. I can't sit here and
15 tell you there's not going to be a groundwater
16 treatment piece that needs to be done on this site
17 until after we get everything removed and can see
18 what happens. What I can do is compare it to other
19 manufactured gas plants across the state where once
20 we have completed the removal, the concentrations
21 and the size of the plume have shrunk dramatically.
22 That's not always to say that there wasn't a
23 polishing step that needed to be done to finish it
24 off and clean it up. But until the removal is
25 complete, you really can't evaluate accurately what

1 would be needed for groundwater.

2 So the plan, as is proposed, is to do the
3 removal. Once the removal is done, monitor the
4 results, get an understanding of what is left in
5 place, and then make a determination on is there
6 additional action needed to address the groundwater
7 at the site. Because there's not really anything
8 you can do and put in place that's not going to get
9 run over and torn up through the part of this
10 excavation.

11 MS. ELLENBERG: Okay. I know we have a number of hands.

12 You've got one --

13 MS. VINCENT: Yeah, we've got one up here.

14 MS. ELLENBERG: Let's go here.

15 MR. KILGORE: Would you clarify something for me?

16 Charles Kilgore. I -- from what I'm hearing, what
17 you're saying is going to be DHEC's recommendation,
18 so -- and I think the -- my inference and, I think,
19 a lot of our inference is that this is what's going
20 to happen. But is there -- is your recommendation
21 binding? Can Duke Power say, "No, we're not going
22 to do that. We're going to take the \$22,000
23 settlement," and do that? How legally binding is
24 your -- or how strong and legally binding is your
25 recommendation?

1 MR. BERRESFORD: I think that's a good question. Just
2 so you understand the process, what we're putting
3 forth is a proposed alternative to the public. We
4 want feedback, we want comments, we want to be able
5 to take those into account. Some of them may be
6 simple things that are concerns that the public has
7 that can be designed for in the remedy. All of
8 those things, we want those comments. They're very
9 helpful to us, and they help us shape what the
10 final remedy is going to look like, because like
11 Greg said earlier, it's conceptual now. Our goal
12 over the next couple years is to work with the
13 responsible parties to make it solid, to make a
14 good design document that we can come back to you
15 with and say, "This is how we're going to address
16 it. This is what you're going to see." And I can
17 commit that we will come back before we start any
18 action to meet with y'all again and show you the
19 plans and walk through the plans and let you
20 understand what's there.

21 What happens once we've gotten all those
22 comments and we've responded to them is we draft
23 what we call a "record of decision," and that is
24 DHEC's environmental decision of what needs to
25 happen at this site. Once we have that, we go to

1 the responsible parties with that and work on
2 getting an agreement in place for them to implement
3 that remedy. I don't think any of the parties are
4 looking at the \$22,000 option as a viable
5 alternative. I don't even think any of the parties
6 are looking at the \$1 million option as a
7 possibility. Those are things we have to evaluate.
8 They're in all the feasibility studies. We quickly
9 shoved them aside, and we looked at the active
10 remedies. And that's what you saw Greg talking
11 about in so much detail, were those three levels of
12 active remedies. We're proposing the most
13 conservative cleanup that we can have as an option.
14 I think in the long-term that's going to serve us
15 so much better than the others.

16 But we'll draft the record of decision. We
17 will then give it to the responsible parties, we'll
18 try to get the agreement in place, and then the
19 lawyers kind of work out the details.

20 MR. KILGORE: So you're basically saying what you're
21 proposing as Option 5 may or may not come to pass?
22 It may be Option 4 once you've had conversations
23 with, I'm going to suppose, Duke, state
24 legislature, whoever else is going to put money
25 forth for this? You're saying right now that

1 Option 5 may not come to fruition, or it may, but
2 let us not assume that that's going to be what's
3 happening?

4 MR. BERRESFORD: I'm saying unless something comes out
5 of this public comment period to change the
6 proposal for Number 5, that's the alternative that
7 DHEC's moving forward with.

8 MR. RUHE: And this is -- my name is Mike Ruhe. I'm
9 with Duke Energy, and we support that entirely. We
10 support (inaudible due to audience applause).

11 DR. KILGORE: Again, Dr. Colleen Kilgore, Mountain View
12 Baptist Church. I'm the health minister here, and
13 I know that you're in the environmental area, but
14 until July the 1st, you're still DHEC, right? So
15 everything is in one. So I'm concerned that there
16 are people in this congregation, members who have
17 suffered from leukemia, you know, kidney cancer, a
18 lot of blood cancers, and other cancers that are
19 inflicted by benzene, toluene, naphthalene, and all
20 those things. They're all carcinogens. So I
21 wanted to go on record that it was presented here
22 so that we will address that at a later time,
23 because this needs to be done. There's a lot of
24 people here who are suffering from those things.

25 MR. BERRESFORD: And even though we'll be different

1 agencies, we will still share resources and be able
2 to go to our health department and say, "Hey, we
3 needs some help with this problem. Can you point
4 us to the right direction?" So just because we're
5 changing agencies doesn't mean it's changing the
6 services that are provided to the community.

7 MS. KING: My name is Shirley King, and I'm also a
8 member of Mountain View Baptist Church. And
9 actually, I would just like to piggyback on what
10 Dr. Kilgore just said. It would seem that the
11 natural occurrence would be, if this toxin has been
12 in this community for as long as you have stated,
13 then there are people that live in this community,
14 and that would always present some sort of health
15 issue. So I would like to piggyback on what she
16 said and to strongly, strongly say that there has
17 to be some thought to investigating the impact of
18 these toxins on the residents of this community.

19 MS. ELLENBERG: Thank you.

20 MS. VINCENT: We've got a question right here.

21 MS. LOWDEN: Are you going to make a statement to what
22 was just said?

23 MR. BERRESFORD: I mean, I think it goes back to -- we
24 will have to go back and talk to some people from
25 the health side and see if we can get them back in

1 touch with the members of this community to try to
2 answer some of those questions better, because we
3 --

4 MS. LOWDEN: Okay.

5 MR. BERRESFORD: Honestly, we just don't have the best
6 answers for that department.

7 MS. LOWDEN: My name is Mattie Lowden. I'm a member of
8 Mountain Baptist Church. In reference to the
9 question that Kiersten Mills asked -- can you hear
10 me?

11 MR. BERRESFORD: Yeah.

12 MS. LOWDEN: Okay, I saw you're --

13 MR. BERRESFORD: I just can't see you from the
14 spotlight.

15 MS. LOWDEN: You can't see me?

16 MR. BERRESFORD: There you go.

17 MS. LOWDEN: Okay. In reference to the question that
18 Kiersten Mills was asking pertaining to East Broad
19 Street, I might have missed it, but did you explain
20 how long it took you to decide to do a study there
21 and to clean up -- how long it took you to do the
22 cleanup?

23 MR. BERRESFORD: The Broad Street cleanup and the
24 cleanup of the manufactured gas plant site here at
25 Bramlett happened in about the same timeframe. In

1 the early 2000s, they both occurred. There was
2 some assessment that had been done prior that said,
3 "Okay, we've got some issues, we need to deal with
4 it." And the stance was, "Let's go do a removal
5 out here at the manufactured gas plant." So that
6 was done at both of them.

7 The manufactured gas plant site itself has
8 been cleaned up for 20 years, thereabouts -- 20-
9 plus -- 2002. However, it's owned by CSX. CSX has
10 not developed that property. That property could
11 be developed in a very similar way that Broad
12 Street was done. The difference with Broad Street
13 was we had a responsible party in there doing the
14 cleanup, and there was an active developer trying
15 to develop the site at the same time. So the
16 removal was completed there, and then the property
17 was developed. Here, the property is owned by CSX.
18 It's their priority to do what they choose to do
19 with the property, and it has not been developed.
20 That property could be redeveloped very easily.
21 The wetland is more problematic due to all the
22 things that we're dealing with there. But once
23 again, that's CSX property, too. So there were
24 some different drivers there with other parties
25 coming into redevelop the site. There's no reason

1 this one couldn't be redeveloped in a very similar
2 way.

3 MR. WINISKI: Yeah. Hi, my name is Mike Winiski, and I
4 wanted to follow up on Mr. Gardner's question from
5 earlier. So it's my understanding that as you
6 excavate the coal tar, right, which contains
7 volatile organic compounds, things like xylene and
8 naphthalene, is there a risk of those VOCs going
9 into the air and causing health issues? And if
10 that is a risk, is there a plan to monitor the air
11 for those compounds?

12 MR. BERRESFORD: I think that's a very good question.
13 On all of the manufactured gas plant sites, when we
14 do excavation, there is air monitoring. There's
15 air monitoring not just at the excavation site, but
16 at the perimeter to make sure there's nothing
17 leaving the site. There's oftentimes misters that
18 are used to knock down the vapors, treat the vapors
19 as they come off. There's foam and things that are
20 injected over the material, so when it sits out at
21 night, it's not off-gassing toxic fumes. And all
22 of those details and aspects would be addressed in
23 the design document that we would have to approve
24 before we could start the removal action.

25 MS. SHEORN: Hi, Jennifer Fouse Sheorn. You mentioned

1 the scope of this project taking up -- seven years
2 is your guesstimate. I did not hear you say --
3 with the male Dr. Kilgore, you mentioned it might
4 take a few more years after you take this back.
5 Can you say the whole scope of the project from
6 right now to finish?

7 MR. BERRESFORD: I guess my question is, what are you
8 considering finished?

9 MS. SHEORN: Everything cleaned up.

10 MR. BERRESFORD: That's a lot more difficult question,
11 because what ultimately is going to happen is over
12 that seven- to eight-year period, the soils, the
13 sediments, a lot of the shallow groundwater issues
14 are going to get addressed. There are some deeper
15 groundwater contamination that we all know is a
16 problem, but we want to see the impacts of what
17 this removal will have on it. There's going to be
18 a groundwater monitoring component for this site
19 well into the future, no matter what we do. Even
20 if we put an active groundwater treatment system
21 out there, it's -- those typically run a 30-year
22 timeframe before they clean up everything. What I
23 can say is what we've seen in the past is the area
24 of impact shrinks greatly in the groundwater after
25 the removal is completed.

1 MS. SHEORN: So let me ask this: When is your start
2 period? That's what I'm trying to get at, the
3 start to finish, but let's start with start.

4 MR. BERRESFORD: Well, the first step is public comment
5 period. We have 60 days to receive comments. We
6 will respond to all the public comments that we
7 get. They will all become a piece of our record of
8 decision that documents the decision that we're
9 making. All of those will get evaluated as the
10 community acceptance portion of the Feasibility
11 Study, because that's not something that anybody
12 other the community can give to us, is whether they
13 accept the remedy or not.

14 The next phase is us getting an agreement.
15 We're thinking -- well, excuse me, the next phase
16 is the record of decision. We're thinking by the
17 end of this year, we finish that. Once we have
18 that, we will supply that with a new agreement to
19 the responsible parties to get an agreement to
20 execute the remedy. Once we have that, we're
21 talking about a year to get a design document, get
22 all the contractors in place, get all the equipment
23 and stuff that's needed to perform this remedy
24 pulled together to begin. So at the earliest, if
25 everything went perfectly, we're probably about two

1 years out from everything going. And there's just
2 really not a lot of ways, given the complexity of
3 all the issues here and all the agreements and
4 things that will have to be worked out to
5 facilitate this, and we want to do it in the
6 safest, most effective manner that we can.

7 MS. ELLENBERG: And, Lucas, I might ask a question on
8 top of that, which is we're going to have
9 continuous opportunities for the community to be
10 involved and other opportunities for them to be
11 engaged and informed and participate; is that
12 right?

13 MR. BERRESFORD: Yes. Once we have a design, once we
14 have more specifics that we can tell you exactly,
15 "This is how the material is going to come out,
16 this is what you're going to see, this is what's
17 happening" and the staging of it, we want to come
18 back to the community. We want to have another one
19 of these meetings. We want to show you all the
20 details and get feedback and hear your thoughts and
21 concerns, because those things can often be
22 addressed when there's concerns about something
23 maybe that got overlooked in the course of the
24 design. Sometimes some simple changes can make a
25 world of difference to the community, and we want

1 to make sure that we hear those messages.

2 MR. HEISER: Hi, John Heiser. I want to go back to your
3 chart where you had the criteria laid out with the
4 different proposals, and Proposal 4 and Proposal 5,
5 both have a total score of 30. There is a \$6
6 million difference between the two. When you go to
7 the responsible parties and say, "We recommend
8 Proposal 5," by what criteria? What kind of teeth
9 do you have to do Proposal 5 over Proposal 4?
10 Because the environmental impacts and the overall
11 health to humans is exactly the same, and I don't
12 see any teeth in you going in with Proposal 5 over
13 Proposal 4.

14 MR. BERRESFORD: I think through this whole process,
15 we've been working with the responsible parties.
16 They've been a part of this from the beginning.
17 The community has echoed the concerns that they
18 wanted all the material gone. We don't know all
19 the material that's in that landfill. When you're
20 poking holes through a landfill, trying to
21 determine where the coal tar is, there's areas you
22 can't get through because it's full of concrete and
23 rebar, and you can't get a sample there. So all of
24 this is a conceptual idea of where the tar is.
25 What we typically see is that footprint expand when

1 excavation begins. And there's also an emphasis of
2 not wanting to have to come back and deal with
3 something that was missed, because ultimately, that
4 becomes way more expensive than dealing with it on
5 the front end. So there's a lot of unknowns that
6 full-scale removal, taking everything out,
7 restoring it to a natural wetland solve. And
8 potentially, it solves a lot more of the problems
9 on the back end with the groundwater after the
10 removal is complete.

11 MR. HEISER: And the responsible party looks at it the
12 same way?

13 MS. ELLENBERG: So the question is, does the responsible
14 party look at that the same way?

15 MR. CASSIDY: Well, I just want to go back to your first
16 question. Basically, these scores are the same for
17 Alternatives 4 and 5. One thing that's not on this
18 chart that is one of the criteria and we utilize is
19 community acceptance. And so that's kind of what
20 we're here tonight to see is, does the community
21 accept Alternative 5 more than Alternative 4 or
22 something totally different? So community
23 acceptance plays a huge role, almost more important
24 than any of these other criteria at the end of the
25 day.

1 MS. ELLENBERG: And so from that community engagement
2 perspective, the conversations that we've been able
3 to have in the past, the planning that y'all have
4 been able to do, the master planning that y'all
5 have been able to do, those things have helped
6 strengthen the process and the evaluation that
7 y'all have been using; is that a fair statement?
8 Obviously, I'm on the community engagement side, so
9 I don't want to misstate something like this.

10 MR. BERRESFORD: Yeah. I firmly believe that the reason
11 we have Alternative 5 up here is, I think there was
12 a lot of feeling from all the parties involved that
13 the community was not going to willingly accept
14 anything other than the best cleanup alternative
15 out there. And so that now comes our job to work
16 with the parties, get agreements in place, and get
17 it put into action. And once again, I just urge
18 everybody -- it may sound simple, but sending Greg
19 an e-mail that says, "Hey, I'm from this community;
20 I support the decision for Alternative 5," is very
21 helpful to us, because if we get a lot of the
22 community members stating their preference, don't
23 think, "Well, DHEC's made up their mind, and it's
24 Number 5. I don't need to say anything." Your
25 voice does count. We want to hear your voice.

1 It's very important to us. It is a very distinct
2 piece that we can't carry forward without y'all's
3 help.

4 MS. POOLE: My name is Emily Poole, and I'm an attorney
5 with the South Carolina Environmental Law Project.
6 I have a few questions about the groundwater still,
7 because I hear you saying that you've done cleanups
8 where you've left things, and then you've realized
9 that you have to go back. And I think a lot of
10 people here are very concerned that you not putting
11 the groundwater treatment in this remedy is doing
12 exactly that, that you're going to have to come
13 back. So why can't we put that in this record of
14 decision? Why can't we put treating the
15 groundwater in this record of decision? Even if it
16 goes second, why can't that be in this record of
17 decision? And also, another concern I have with
18 the groundwater, because groundwater moves, if
19 you're not treating it now, what are you going to
20 do to contain it and to make sure it doesn't keep
21 moving? Because we have had 30 years waiting for a
22 cleanup, so the groundwater has moved in ways that
23 we would have never expected in those 30 years.
24 And we don't want these seven years of cleanup for
25 the same thing to happen. Thank you.

1 MR. BERRESFORD: I think the part that gets missed
2 because there's not a design document that shows
3 all the details is -- yet, is that groundwater --
4 nothing's going to be done with groundwater during
5 this removal. And that's not the case because
6 there's no way to remove this material that's in
7 the water table without removing groundwater,
8 pumping groundwater, treating groundwater, removing
9 the contaminated soils. And then what you have
10 left is kind of a clean column for water to flow
11 through. And hopefully, you've removed all the
12 contamination, you've pumped the water to get that
13 contamination, and you really have to evaluate how
14 well that has worked before you start trying to
15 design a system, because maybe you would put a
16 pump-and-treat system in today because that would
17 be the best thing. But maybe -- after the removal
18 in seven or eight years and looking at what's
19 happened to the groundwater, maybe there's some
20 injectable technology or something that would be
21 better and get it cleaned up quicker.

22 So the reason we don't choose groundwater
23 pump-and-treat now is we don't truly understand the
24 impact that this removal is going to have, and we
25 can't until we actually implement it. And then

1 there's all the pieces and parts that go with it.
2 Where there will be water that has to be treated,
3 areas will have to be dewatered to excavate out the
4 contamination. Now, what effect does that have on
5 the overall site? And if we pick pump-and-treat,
6 we may be coming back in eight years and saying,
7 "We really think we made a mistake, because this is
8 the better choice."

9 So the goal is always to pick the best choice
10 of a remedy for the situation. And the problem is
11 we can't speak to what that situation will look
12 like in seven years. So we've got to collect the
13 data, evaluate it, and then see, "Okay, we already
14 have one component we know we have to revisit." If
15 we have to add back in all the groundwater to that
16 component to address it in the future, after the
17 removal is complete, then that's what we'll do, and
18 we will come up with the best alternative to deal
19 with all of it.

20 MS. POOLE: Is there any way that you can commit
21 yourself to that now in this record of decision?
22 Because you -- we have a VCC in place now that gets
23 us here, and then you're going to have to do a new
24 VCC. And so we don't want to have to do a third
25 VCC. And so is this something that you can be

1 committing to yourself -- like, committing DHEC and
2 the responsible parties to?

3 MR. BERRESFORD: What we will typically have anytime
4 there's a remedy is what we call a "five-year
5 review period." And what that five-year review
6 does is it evaluates how effective that remedy was.
7 And it looks at the data, how -- what was -- "Was
8 there anything left?"

9 "No."

10 "Okay. What's the conditions for the
11 groundwater? Are they getting better?" Because
12 once everything's removed, you should start seeing
13 positive trends. If we're seeing great positive
14 trends, maybe we're coming back and saying, "Hey,
15 this worked way better than we thought. We've got
16 some small pockets here that we need to deal with,
17 and that's probably best done this way." But it's
18 going to have an evaluation period on a five-year
19 basis, post removal, until everybody is satisfied
20 that the site is cleaned up. And that will be in
21 the record.

22 MS. AMIDON: I have an easy question and then a couple
23 comments. So with the change to DES happening July
24 1, can you confirm that Greg Cassidy's e-mail
25 address that has been listed on this paper will be

1 live through August 6th to ensure people's comments
2 are provided and given?

3 MR. BERRESFORD: Absolutely.

4 MS. AMIDON: Great. That was your softball. Now, a few
5 comments. Okay. One, just in thinking about the
6 wetland area, I think many of us here in this room
7 would support that it gets fully remediated with
8 invasive species removed, native plants reinstated.
9 And I would suggest that CSX gives that property to
10 the community, and it goes under conservation
11 easement so that it can be an educational piece for
12 the community.

13 Okay. My name is Katherine Amidon. I've
14 lived nearly a decade a half mile from this site in
15 the Southernside community, and frequently walk and
16 bike by the boundaries of the contamination. I'm
17 also an environmental professional working locally
18 here out of Greenville. I appreciate and
19 understand that assessments of this nature all the
20 way to the cleanup take a lot of time. And I also
21 understand that the science and analysis required
22 to make an informed decision is not a small feat.
23 These are not quick projects, Brownfield Projects
24 never are. They take a really long time.

25 What I cannot understand, though, is the snail

1 pace this particular project has proceeded,
2 beginning over 30 years ago, with the investigation
3 of the unpermitted landfill on CSX property, and
4 also the lack of active participation from CSX.
5 Duke has come to the table. CSX has not. The
6 delays to remedial action without good reason that
7 have prevented the Newtown Community from moving
8 forward in any meaningful manner with implementing
9 their plans to grow their community is quite
10 unacceptable. That being stated, we cannot change
11 the past, but we have a really awesome opportunity
12 here to positively impact the future together.

13 So with that foundation, here's the crux of my
14 comment which kind of blends some things, Pastor
15 Mills said, and also Frank Halleman. For all of
16 the comments that are voiced this evening and
17 during the 60-day comment period that request
18 additional remediation, additional asks, similar to
19 what Emily just presented here, to what should
20 really be the only alternative we are considering,
21 which is Alternative 5, there should be no further
22 delay to the progress forward to the remedial
23 action. And what I mean by that is, if people ask
24 for things that go a little bit above and beyond
25 that Alternative 5, it shouldn't be an excuse to

1 extend the timeline by another year or two or
2 three. This community deserves a comprehensive
3 cleanup and the ability to move forward with their
4 master plan in short order, with a clear, imminent
5 schedule and reassurance that their residents and
6 visitors will be safe from contamination in the
7 future. Thank you.

8 MS. ELLENBERG: Do you have a -- did you want to address
9 any of that?

10 MR. BERRESFORD: I can't agree more that we at DHEC
11 really want to see this project move forward to
12 clean up. That's why we're here tonight. That's
13 why we're proposing the most effective alternative
14 possible. We don't want to leave unknowns out
15 there to deal with in ten years from now. We want
16 to try to address all of them here. And as I said
17 before, we will look at all the comments, we will
18 try to address them, and we will try to do that if
19 at all possible, through our record of decision.

20 MS. SULLIVAN: Hi, I'm Tammie Sullivan. I'm one of the
21 ministers here. Before I make my comment, I want
22 to read the scripture that Pastor Mills gave us,
23 and I'm just hearing everybody comment, and what
24 we're hearing right now are cries, cries of people
25 saying now is the time, because it's been over 30

1 years. I'm reading from Isaiah 10, 1 through 3.
2 "Woe to those who decree unrighteous decrees, who
3 write misfortune which they have prescribed to rob
4 the needy of justice, and to take what is right
5 from the poor of my people, that widows may be
6 their prey and that they may rob the fatherless.
7 What will you do in the day of punishment and in
8 the desolation which will come from afar? To whom
9 will you flee for help? And where will you leave
10 your glory?"

11 This is God talking. This is God talking
12 about justice. I'm hearing the comments, and it's
13 like there's an elephant in the room we don't want
14 to talk about. In the Southernside, we have been
15 overlooked, and this is the reason why it has been
16 this long. Hear our cries. As the young lady
17 spoke before me, it doesn't need to be delayed. It
18 has been delayed long enough. Long enough. Hear
19 our cries. We matter. We matter. We matter. And
20 what I've been hearing, you know, even from what
21 Kiersten Mills was saying and what we hear and see
22 all the time, money talks. But guess what? We
23 matter. Even if we don't have the dollars you
24 think we should have, we are human. We breathe, we
25 live, we bleed. We all have red blood. It doesn't

1 matter how much money you have. Please hear us.
2 Look at every last one of us. We matter. We're
3 here. We're people. And the dollar should not
4 come before doing what is right, what is decent,
5 what is just. So it's on record, right? We
6 matter, please, because it would not only involve
7 you. You keep saying other parties. And you know
8 what? I commend you because you're on the hot
9 seat. You're on the hot seat, and I've been
10 praying for you. But please, all of you, you know
11 who will be involved. Please tell them we matter
12 and we are important. And it doesn't have nothing
13 to do with a dollar sign. It's because God created
14 us and we matter.

15 MS. SINGLETON: Hello, my name is Ursula Singleton, and
16 I'd like to just piggyback off of the last two
17 comments. I believe I heard you say it would be an
18 estimated two years before any real work actually
19 began, but I heard Duke Energy say they were
20 committed to your proposal. So if all of the
21 stakeholders are here, why can they not make that
22 same commitment now so that it's not another two
23 years on top of the 30 years on top of the seven
24 years of the study?

25 MR. BERRESFORD: I think just as far as that goes, even

1 if we had an agreement in place and a decision made
2 today, from the point that that's done and
3 everything fell in place, just the working, the
4 details for this, the getting the equipment lined
5 up, all the pieces and parts to make sure that this
6 can be done effectively and safely for the
7 community, which is our number one priority, it
8 takes time to line all those things up. It takes a
9 lot of time to do a really good work plan to show,
10 "This is how we're going to design this, this is
11 how we know it's going to work." And I don't want
12 to come back to this community and any of y'all
13 with a plan that doesn't have all that in it.

14 So that's what Greg and I are committed to, to
15 make sure that plan is the best plan that we need
16 to implement that remedy. And with all the
17 complexities we deal with and all the pieces and
18 parts that have to be rounded up and pulled
19 together, that just takes a lot of time and effort
20 by the engineers much smarter than me, who have to
21 put those plans together. Anytime we're dealing
22 with the water issues that we will be dealing with
23 through this project, it is a very tedious and
24 prescriptive way that we have to go about dealing
25 with it. And if we don't have a good plan, it's

1 going to fail, and we do not want that to happen.

2 So we want to get a good, comprehensive plan
3 that spells out all the contingencies, that answers
4 the majority of the concerns that we're hearing,
5 and then we want to bring it to the community and
6 show them, "This is how it's going to happen.

7 Here, we have a better timeline of when it's going
8 to happen, and you can expect to see things coming
9 here."

10 Right now, it's all kind of up in the air off
11 of how quickly we get through the comment period,
12 we address the comments, we get a final decision
13 document, and we can get an agreement in place.
14 Once that happens, DHEC can start pushing for
15 timeframes because those timeframes will be spelled
16 out in that agreement when things have to be
17 delivered.

18 MS. ELLENBERG: Lucas, I know we have a number of
19 questions, some that need to hit the road really
20 fast, so I want to have this lady speak real quick.

21 UNIDENTIFIED FEMALE SPEAKER: Quick, just want to go on
22 the record. I've been to a number of these
23 meetings about environmental issues and neighbors,
24 a lot of public questions about cancer and related
25 things, and a lot of promises of private answers.

1 That really just does not sit well with me. Those
2 people should be at the next meeting. They should
3 look face-to-face with the neighbors and answer the
4 health questions for everybody because I've yet to
5 hear back from e-mails and other things, not you
6 specifically. But I just want to go on record and
7 say they should be here. If it's not you, which I
8 know it's not, no judgment, they should get
9 whatever formal limitation they need to also be
10 held to task for a public conversation here in the
11 community about those things, not individual e-
12 mails going out with who-knows-what answers to
13 other people. I just -- I think that's dividing
14 the power on purpose of the community instead of
15 giving those answers when everybody's in the same
16 room.

17 And I just -- sorry, I have to run to see my
18 kids. But I -- that's a really important part that
19 just gets missed over and over again with these, is
20 not being held accountable for the health outcomes.
21 It's just not happening.

22 MR. BERRESFORD: And I do want to say that there's a lot
23 of data on this site. It's all available on our
24 website. But when we had a public meeting, I think
25 it was maybe two public meetings ago, the community

1 had some concerns about health. And we went out
2 into the community, and we collected samples in the
3 -- soil samples in the community. And what we
4 found and provided those results in that meeting to
5 the public is it was consistent with one exception.
6 That was an area where some material had been
7 burned, and burned material gives off some of the
8 similar things. We had no coal tar contamination
9 in any of the samples. We were consistent with
10 everywhere else in Greenville County --
11 essentially, was the findings.

12 UNIDENTIFIED FEMALE SPEAKER: Yeah. Maybe that was
13 confusing, sorry. You're saying you're going to e-
14 mail people -- asked for contact information to
15 give them answers, and I'm saying those answers
16 should just be public at the next meeting. The
17 people from DHEC or whoever who are going to
18 address valid concerns from neighbors who are up
19 here, it's confusing to me why that's just, "Oh,
20 well, I'll let you know about that" when the
21 question is asked. You know, and -- is that not --

22 MS. ELLENBERG: So what I'm hearing is it's not just
23 about private health conversations, but about being
24 able to have that health conversation in a more
25 public way.

1 UNIDENTIFIED FEMALE SPEAKER: But the answers should
2 just be public at the next -- if he can't answer
3 it, right, bring the people that can answer that
4 question, like, for -- you know, for the next
5 meeting.

6 MS. ELLENBERG: Thank you.

7 UNIDENTIFIED FEMALE SPEAKER: Yep.

8 MR. BERRESFORD: Thank you.

9 MS. ELLENBERG: We've got a comment here.

10 MS. CANNON: Hi, Courtney Cannon here with the South
11 Carolina Environmental Law Project. I'm the
12 environmental equity and justice specialist. I
13 just want to ask a clarification. So we've been
14 talking about Alternative 5 all night, which is
15 really great, where it seems like a consensus.
16 However, you keep mentioning the word "conceptual."
17 So that means that the community, if there's
18 something -- say they do like Alternative 5 but
19 they want to see more, they can still advocate for
20 that, correct?

21 MR. BERRESFORD: We will take all comments under review
22 that we get. And once again, it is conceptual, as
23 this is a general layout of what we perceive the
24 removal area to be now. Honestly, that's going to
25 change when we start removing because they're going

1 to follow any tar that they find and make sure it's
2 all removed. But certainly, there's a lot of
3 concerns that we're hearing tonight that can be
4 addressed through our public comment period,
5 through our decision document that don't require us
6 to start the process over, because I don't think
7 anybody here tonight wants to see that. They want
8 to see progress. They want to see things move
9 toward an endpoint as quickly as possible. And
10 that's what we want to see as well.

11 MS. CANNON: Right. My question was more that -- I just
12 want to make clear that Alternative 5, if you do
13 accept it and you think it's great, you can still
14 add more. This isn't the end all, be all. And I
15 just want to make sure that that's clear.

16 MR. BERRESFORD: Correct.

17 MS. CANNON: Okay.

18 MR. BERRESFORD: I think Alternative 5 is our
19 alternative now, but I think we already recognize
20 that there's more that may have to be done in the
21 future after Alternative 5 is complete. And we're
22 going to work on crafting a decision document that
23 covers some of those issues.

24 MS. OLIVER: My name is Nikki Oliver. I'm a member of
25 Mountain View. Just for clarification, so you're

1 going to get the comments within 60 days, correct?

2 So what is your timeline to meet back with the
3 community on what next steps are, and how are you
4 going to meet with us, and how often as long as
5 you're going through the project?

6 MR. BERRESFORD: The majority of what we will be -- we
7 will keep -- every time we have a milestone, we
8 will be updating our website to show the progress
9 and changes of things. So once we have a record of
10 decision drafted and signed, that will go on our
11 website. I know we need to come back here when we
12 get to the point before we start digging dirt. We
13 need to have a plan in hand that shows, "This is
14 how we're going to do things," and we need to share
15 that with everybody in this room, and we're
16 committed to do that.

17 MS. OLIVER: So is that going to be like a 90-day aim
18 for you to have that plan in place? 120 days? 180?
19 What are we looking at?

20 MR. BERRESFORD: I think once we get -- once we have the
21 decision -- we will have that out by the end of
22 this year that says, "This is our record of
23 decision." That is our goal. We have to address
24 all the public comments that we receive, and we
25 will respond to all of them. So if you send us a

1 comment, you will get something back from us
2 discussing your comment and how it will be
3 addressed. And that takes a little time,
4 especially with as many people as we've had here
5 tonight and how many we may have online viewing.
6 We may receive a lot of comments that we have to
7 address.

8 MS. ELLENBERG: So those comments are very important
9 that you're getting. And I think one of the
10 commitments is how are we keeping the conversation
11 going? I know our webpage is one way to share
12 information. We are very fortunate that we have
13 Pastor Mills and we have a lot of community leaders
14 who may be able to help us get that word out. So I
15 think we can look at that community engagement
16 strategy to make sure we're sharing things. And I
17 do want to reiterate, too, make sure we have a way
18 to contact you with your e-mail address. That can
19 also help us be able to share that information more
20 directly. You know, like I said, the webpage is
21 one resource, but I think we can have that
22 commitment to a community engagement plan that
23 helps look at the different ways to communicate and
24 share information, especially with all the
25 involvement we have up here.

1 MR. BERRESFORD: And I would say communicating with
2 Pastor Mills is a great line to us. We have had a
3 great working relationship with him that's gotten
4 us to this point. If Pastor Mills says, "Hey, I
5 think it's a good time" for us to come back and get
6 together and talk, we'll be here. We've been here
7 two or three other times when he's asked us to
8 come. We will keep coming.

9 MS. HOLLIS: Hi, I'm Erika Hollis, and I just have a
10 quick question regarding what was mentioned here
11 about Option -- what we're calling "5-plus." So
12 after the process of the public comment period and
13 the public puts in -- you know, they want
14 additional protections on top of Option 5 that
15 you've mentioned, is there an opportunity after
16 that? Say you go through all this process and you
17 evaluate and you add additional elements to the
18 cleanup. Is there an option for -- or is there a
19 process for the public to comment on that? Or is
20 it said and done at that point? I'm a little
21 confused about how that all works. So say you come
22 up -- you add the -- because we're looking, as was
23 mentioned, for additional groundwater treatment and
24 wetland rehabilitation, and that isn't in the
25 current plan now. If you decide to do that, is

1 that a done deal and we can't add anything else to
2 it after the fact?

3 MR. BERRESFORD: I think at this point, if we go in and
4 add something like a groundwater treatment system
5 that was not evaluated in the Feasibility Study --

6 MS. HOLLIS: Correct.

7 MR. BERRESFORD: -- that means we have to reevaluate
8 alternatives and add in another alternative, which
9 recreates that FS process.

10 MS. HOLLIS: Oh.

11 MR. BERRESFORD: We do not want to do that.

12 MS. HOLLIS: No, I understand that.

13 MR. BERRESFORD: We want to move this forward, and I
14 think the way to do so is hearing all those
15 comments, addressing them in the decision document,
16 spelling out a way that we can address it as we go
17 through the process and evaluate it, and then make
18 that decision. It may be as simple as saying
19 groundwater as a whole is going to be lumped in as
20 Operable Unit 2 and evaluated post removal.

21 MS. HOLLIS: Okay.

22 MR. BERRESFORD: That's a simple thing that could be
23 written in and does not affect any of the remedies
24 that are evaluated. So there's ways to do it. We
25 just have to get all the comments, evaluate them.

1 If you make the comments, you'll get the response
2 to those comments from us telling you, "Thank you
3 for your comments. And here's how that -- we are
4 looking to address it." So if you make the
5 comments, we send you a letter.

6 MR. HOLLIS: Right.

7 MR. BERRESFORD: Feel free to pick up the phone, call
8 Greg, call myself, we'll talk about it, we'll work
9 through it. And then we're the ones drafting that
10 decision document, so . . .

11 MS. HOLLIS: Well, the last thing we want to do is
12 prolong this process. We just want to make sure
13 it's the most effective cleanup, as you've stated.
14 So thank you for clarifying.

15 MR. GARDNER: I'm speaking again. This is Charles
16 Gardner. I have two requests or two suggestions.
17 One, to the responsible parties, I'd like to ask
18 you to intensify your conversation with Reverend
19 Mills in putting this master plan together. Become
20 a partner in that, and support him in every way
21 that you can. You have an awful lot of resources
22 that can be brought to the table that can help him
23 facilitate that project. And I know that your
24 assistance will be welcome there.

25 The other request is to you. It was brought

1 up earlier. You're talking about minority
2 participation. In the contracting that you do, a
3 lot of those contractors will be from out of this
4 area. There'll be money coming out of this area,
5 going to someplace else. It won't happen unless
6 there's a deliberate effort to do it, to make sure
7 that those contractors use minorities in the work
8 that's to be done. And where possible, use some
9 workers from this area, from this community. There
10 are things that they can do, and there are other
11 things they can be trained to do. It's going to
12 take a seven-year period to do this. After the
13 seven-year period is up, some people from this
14 community need to have some skills they could take
15 someplace else because they've learned those skills
16 from working with this project. It won't happen
17 unless there's a deliberate effort to do that. So
18 I would encourage you to use contractors and make a
19 part of that contract that they use minorities in
20 that work, and where possible, to use individuals
21 from this area that can do the work and that can be
22 trained to do work in the future.

23 MS. ELLENBERG: Thank you, sir. (To Mr. Berresford) Do
24 you want to add to that?

25 MR. BERRESFORD: I think that was very well said. I

1 will say that basically how this process will work
2 is we'll have a contract with Duke and CSX and an
3 agreement with them. They'll be the ones that are
4 actually hiring the contractors to do the work,
5 hiring the people to do the work. So I think
6 sharing that message with them in the room is a
7 very helpful thing to do. And I think if we can
8 see ways to put things back in the community, use
9 resources of the community, that is a great thing
10 to do.

11 MR. GARDNER: It's easy to follow your normal practice
12 and say, "Okay, we have (inaudible) minorities in
13 the" -- is not enough. In this project, make a
14 special effort that minorities are included in
15 those contracts, in procurement, in every phase of
16 that contract. It won't happen unless you put
17 forth a special effort to get it done. And working
18 with Reverend Mills in the master plan, there are
19 an awful lot of resources that you have that can
20 help him to push that plan forward. There may be
21 -- well, there's an awful lot of resources that you
22 have. Discuss it, you know, with him and his
23 committee to make sure that you become a partner in
24 the development of that.

25 MS. ELLENBERG: Thank you.

1 MS. DAVIS: Francena Davis. My question is, you had it
2 up on the screen earlier that -- it said in order
3 for this proposal to be accepted, which we know is
4 Number 5, that we must submit it in writing to
5 Greg. Could you put that back up on the screen
6 again, please? Because I did get his address, but
7 I did not get an e-mail address, and we don't want
8 this to go forward saying that we did not submit
9 all the requirements. So if you can put that
10 address back up there again, I'd appreciate it.

11 MR. BERRESFORD: Sorry, we had a little technical
12 shutdown there. The handouts on the back has his
13 information on it. Also, if you scan the QR code
14 and go to our website, all of his information is on
15 there.

16 MS. DAVIS: So in order for it to be accepted, we have
17 to -- we must submit it in writing?

18 MR. BERRESFORD: So I'm going to say this. All the
19 responses and questions that we've had tonight, all
20 the things that have said are officially a part of
21 our administrative record for this site. It will
22 be part of the decision document. So all the
23 things that have been said here will be a part of
24 that. We would encourage people to send an e-mail,
25 send a letter, however you wish to do it, to Greg

1 as another level of support for what you would like
2 to see here. We have seen community involvement
3 change remedies in the past. We want to make sure
4 that we're partnering with the community to get
5 this job done and that we're seeing everything
6 within the community. We think it's the best
7 thing. We want to make sure that y'all feel the
8 same way.

9 MS. BARRETT: My name is Sherry Barrett. I'm the land
10 policy director at Upstate Forever. I had a
11 question about land use controls. Could you
12 clarify what that means and what some examples
13 might be in this particular project?

14 MR. BERRESFORD: I'll take a shot at it. When we talk
15 about land use controls, when we have groundwater
16 contamination, we're typically talking about
17 groundwater not being used for drinking water. The
18 whole area is serviced by public water. That's not
19 a real issue at this particular site. The Parcels
20 1 and 2 in the -- is looking at doing some very
21 minuscule amount of removal that would have it to
22 the point that it could be used for residential.
23 So there wouldn't necessarily be those type of
24 restrictions. But sometimes restrictions are put
25 on the property that says, "No single-family

1 residence, no" -- things like that due to what
2 material is at the site. Here, it's kind of a
3 unique thing. It's probably more leaning toward
4 the groundwater impact while we have groundwater
5 contamination. And when we do that, we always have
6 a way to lift those controls once we've cleaned up
7 groundwater to the point that they don't require
8 those restrictions anymore.

9 MS. BARRETT: A follow-up question: So in working with
10 the Newtown Community on their master plan, do you
11 see and have you discussed with them how these land
12 use controls might influence the realization of
13 that vision?

14 MR. BERRESFORD: On a limited basis, we've been talking
15 with Pastor Mills. And ultimately, the goal of the
16 remediation is to do so in a way that facilitates
17 that vision, that leaves the property in a position
18 where that vision could be a reality.

19 MS. BARRETT: Thank you.

20 MS. CHILDS: Hi, my name is Tammie Childs, and I have a
21 question. As of today, you said -- and I'm trying
22 to understand your PowerPoint. You said OU3 would
23 be evaluated at a later time. Can you speak to
24 that and how that plays into the alternative plans?

25 MR. BERRESFORD: When alternative -- Operable Unit 3 was

1 bedrock groundwater, really deep groundwater. When
2 some wells were put in, there was some impacts
3 noted to deep groundwater. I think we're not going
4 to know until the removal is complete what impact
5 we have on that, because this is one of the largest
6 removals we've taken on, on these type projects. I
7 think it's going to surpass the one that was done
8 in Columbia, which was about 160,000 cubic yards of
9 material. So once all that's removed, we will then
10 do an evaluation of groundwater, some monitoring of
11 groundwater, to see what it looks like after that's
12 done, and then evaluate, kind of through a similar
13 process of looking at different cleanup
14 alternatives, to select the best possible one for
15 groundwater.

16 UNIDENTIFIED MALE SPEAKER: Is it six years from now or
17 eight years from now or ten years from now?

18 MS. ELLENBERG: So the question is, kind of, what's the
19 timing of that since --

20 MR. BERRESFORD: I think that kind of falls in the
21 ballpark, because we really can't do anything for
22 groundwater until we've removed all this material.
23 We have to get it out. And on a lot of sites, we
24 have seen that once that happens, that footprint of
25 groundwater contamination that may have been this

1 big has shrunk down to something that's like this
2 big. And it completely changes the way that you
3 would look at cleaning it up and what technologies
4 you would use.

5 MS. CHILDS: So that's what I want to go on the record.
6 You did mention that OU3 will be studied at -- not
7 studied during this time, because it can't be, I
8 guess.

9 MR. BERRESFORD: Yeah. Right.

10 MS. CHILDS: I'm not an engineer to know that that's
11 true. I'm trusting that's what you're saying. But
12 at that point when everything's dug out, then it
13 could be another study that finds, "Oh, now there's
14 still -- we got to do this entire process again,
15 addressing the groundwater"?

16 MR. BERRESFORD: It would be a much shorter process
17 because we've addressed the majority of the
18 problem. Now we're looking at a much smaller area,
19 a much smaller problem that we've got to address,
20 and we don't have to go -- once we put monitoring
21 wells back in place after the removal is complete,
22 usually, within a year or two of that removal,
23 we're pretty much seeing where we're going to be
24 from a concentration standpoint. So we'll see
25 areas that have completely cleaned up, we'll see

1 areas that need a little more work, and then we
2 need to focus on those areas and see what needs to
3 be done in those areas.

4 MS. CHILDS: Thank you for taking my question.

5 MS. NEWTON: I'll go. My name is Josie Newton. I am
6 the watershed scientist with Friends of the Reedy
7 River. As the gentleman said a few comments back,
8 having the active partnership of responsible
9 parties is critical here. Friends of the Reedy
10 River sent CSX Transportation a letter on September
11 28, 2022, requesting CSX's partnership with Duke
12 Energy to assist in the remedial action needed at
13 this site. We did not receive a response from CSX,
14 and it is our understanding that they continue to
15 turn away from accepting full responsibility,
16 especially for the illegal landfill which is on
17 their property. Moving forward, how is DHEC going
18 to better hold CSX responsible to come to the table
19 as a responsible party?

20 MR. BERRESFORD: I think we have representatives from
21 Duke and CSX who have voiced that this is a
22 priority for them to get this job done. We're
23 going to continue to work in any way we can with
24 both parties to try to facilitate this cleanup, and
25 we're committed to put forth the full effort to get

1 everybody to the table and get a solution here, I
2 think is what needs to happen. It's what the
3 community wants to happen. Now we have to find a
4 way to make it happen.

5 MS. ELLENBERG: Are there any more -- I see another
6 hand.

7 UNIDENTIFIED FEMALE SPEAKER: Just to clarify, are the
8 responsible parties legally forced to clean up?
9 Can they decide that they don't want to clean up?

10 MR. BERRESFORD: That's a good question. We operate
11 under the CERCLA law in which the party can choose
12 not to clean up, at which point the state would
13 look to potentially do the work themselves and sue
14 them to do the work or go through some type of
15 enforcement matter to prod the work to get done.
16 Here, we've had a good relationship working through
17 this process to this point. I think we have some
18 commitments moving forward to get us to an
19 endpoint. So I don't necessarily see those
20 roadblocks stopping us, but it's still a process
21 that we have to work through.

22 MS. ELLENBERG: So now I don't see any hands raised. I
23 do want to just end with a few quick notes. First
24 of all, going back to what you said earlier, you
25 matter, and we're here tonight. We appreciate all

1 of you being here, those who have joined us and
2 left, those of you who have joined us and stayed.
3 We appreciate y'all being here because this
4 matters. Your being here matters. Our being here
5 matters to us, too. And so I really appreciate
6 everybody's commitment to this process.

7 This has been on the record. We've had our
8 court reporter here reporting this throughout. And
9 y'all have heard repeatedly how you can continue to
10 give comment and feedback and reach back out to us.
11 This is not the end of a conversation. This is the
12 start of a conversation that's -- tonight, you
13 know, we're starting a 60-day comment period, and
14 then we're building on all the other conversations
15 that have come before us, and we're going to
16 continue to look at that communication and
17 community engagement plan that goes forward from
18 here, too.

19 And I just have to also reiterate, on behalf
20 of the DHEC staff, a big "thank you" to Pastor
21 Mills and this church for hosting us and welcoming
22 us into the community and having this as the spot
23 that we can have these conversations tonight. And
24 I really appreciate that open door and that
25 welcomeness to be here.

1 And so if we don't have any further questions
2 for tonight, I know our staff will be here a little
3 longer if somebody has another thing they would
4 like to talk to us on the side about before we
5 leave. But I would like to turn things over to
6 Pastor Mills to close this meeting, if that's
7 acceptable for everybody.

8 PASTOR MILLS: Thank you so much. Well, you guys are in
9 church, so why not treat you like that? I'm just
10 going to close in prayer. We've sat a long time.
11 Thank you to everybody that's been involved and for
12 all the comments that have been shared tonight.

13 Father, we are so grateful for this world that
14 you have created and entrusted in our hands. We
15 thank you, Lord, even for the spaces behind this
16 church that have impacted the lives of generations
17 of people who have lived in this community. We
18 pray for healing of the soul, of the mind, of the
19 body, Lord, that we will not go from here wounded,
20 but encouraged. We ask for strength for those who
21 labor behind the scenes to make these things
22 possible, and that your will would be done in all
23 things, and that in the end, we would return what
24 you have entrusted into our hands to your
25 safekeeping. Your kingdom come, your will be done

1 on earth as it is in heaven. Amen.

2 Thanks for being here tonight.

3 (Whereupon, at 8:35 p.m., the public
4 meeting of the above-entitled matter
5 was concluded)

6 (*This transcript may contain quoted material.
7 Such material is reproduced as read or quoted
8 by the speaker.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF SOUTH CAROLINA)
)
COUNTY OF YORK) CERTIFICATE

Be it known that Cindy H. Patterson took the foregoing proceeding and hereby attests:

that I was then and there a notary public in and for the State of South Carolina-at-large and that by virtue thereof I was duly authorized to administer an oath;

that the deponent/witness, if any, was first duly sworn to testify to the truth, the whole truth, and nothing but the truth, concerning the matter in the controversy aforesaid;

that the foregoing transcript represents a true, accurate, and complete transcription of the testimony so given at the time and place aforesaid to the best of my skill and ability;

that I am neither a relative nor an employee of any of the parties hereto, nor of any attorney or counsel employed by the parties hereto, nor interested in the outcome of this action;

that, if a recording of an event was supplied by another party for purposes of transcription and I was not present during that event, the foregoing pages were transcribed to the best of my skill and ability; additionally, any identifications of speakers were provided to me by the party supplying the recording;

that, in the event of a nonappearance by the witness, the foregoing details for the nonappearance are accurate.

In witness thereof, I have hereunto affixed my signature and title.

Cindy H. Patterson

Date: 6/25/2024

Notary public for South Carolina

My commission expires June 30, 2027

*Unless otherwise noted, this notary public administered the oath. Please refer to the transcript for any exceptions.